

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION  
  
TRANSCRIPT OF SCOPING MEETING  
EAGLE CREST ENERGY COMPANY  
PROJECT NUMBERS 13123-000 AND 12509-001

9:00 A.M.

FRIDAY, JANUARY 16, 2009

UNIVERSITY OF CALIFORNIA, RIVERSIDE  
PALM DESERT GRADUATE CENTER  
75-080 FRANK SINATRA DRIVE  
PALM DESERT, CALIFORNIA 92211

ACE-FEDERAL REPORTERS, INC.  
1401 NEW YORK AVENUE, NW  
SUITE 1230  
WASHINGTON, DC 20005  
(202) 347-3700

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

PARTICIPANTS

Presenters:

KIM NGUYEN

Project Coordinator and  
Civil Engineer

DAVID TURNER

Wildlife Biologist

MARK IVY

Outdoor Recreation Planner

MERRILL HATHAWAY, ESQ.

Commission Counsel

Federal Energy Regulatory Commission

888 First Street, NE

Washington, DC 20426

(202) 502-6105

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

PARTICIPANTS

Presenters:

PAUL MURPHEY, R.G.

Associate Engineering Geologist

CAMILLA WILLIAMS, C.E.G.

State Water Resources Control Board

Division of Water Rights

1001 I Street

P.O. Box 100

Sacramento, CA 95812

(916) 341-5435

JEFFREY G. HARVEY, Ph.D.

Principal & Senior Scientist

Harvey Consulting Group, LLC

1861 Coarse Gold Place

Gold River, CA 95670

(916) 799-6065

1	Public Commenters:	Page
2		
3	Terry and Jan Cook	31, 43
4	Wayne Dyok	32
5	Mike Bennett	36, 40
6	Ginger Gillin	37
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
26		

1 PALM DESERT, CA - FRIDAY, JANUARY 16, 2009 - 9:05 A.M.

2 --oOo--

3 MS. NGUYEN: Merrill, can you hear me?

4 MR. HATHAWAY: Yes, ma'am.

5 MS. NGUYEN: Okay. Great. Thanks. Let me know  
6 if you can't and we'll try to speak up.

7 And I was wondering if maybe since we have a  
8 smaller group than was anticipated, if you maybe, Jan, want  
9 to move up or you -- just to help Mike out a little bit.

10 UNIDENTIFIED SPEAKER: We both have vision  
11 problems, so --

12 UNIDENTIFIED SPEAKER: We can move on that side.

13 MS. NGUYEN: That would be great. Thank you so  
14 much.

15 Welcome to the Federal Energy Regulatory  
16 Commission and the California State Water Resources Control  
17 Board's Joint Public Scoping Meeting for the Eagle Mountain  
18 Pumped Storage Project.

19 My name is Kim Nguyen. I'm a civil engineer with  
20 the Commission and also the project coordinator for this  
21 project.

22 Before we get started, this meeting is being  
23 recorded, as you can tell by our court reporter. So to help  
24 him, Mike, make a complete record of the meeting today, if  
25 you could just speak up when you speak for the first time,

26

1 spell your name and your affiliation, and that would help  
2 him make a complete record to be part in part of the record  
3 for the project.

4 There's also registration forms and our scoping  
5 document on this side of the room, if you'd like to follow  
6 along. Most of our presentations will be coming from the  
7 scoping document. And the registration will also help Mike  
8 with his record.

9 First I'd like to go through the agenda a little  
10 bit. And since we have Merrill Hathaway, who's counsel from  
11 the Office of General Counsel on the phone with us, and he's  
12 going to be here just the first hour, we'd like to change  
13 the agenda around a little bit and maybe get some of the  
14 issues, the legal issues, the policy issues out of the way  
15 before we get into the meat of the meeting and discuss the  
16 detailed resource issue, if you don't mind.

17 So, with that, I'm going to start with  
18 introductions and then go through the background a little  
19 bit and then go into any legal and policy questions that you  
20 might have for Merrill before we let him go and then  
21 continue with the rest of our agenda, which is talking about  
22 the request for information, the description of the project,  
23 the scope of cumulative effects, and then our schedules.

24 So, with that, let me start with some  
25 introductions.

26

1                   MS. WILLIAMS: Camilla Williams, Divisional Water  
2 Rights, State Water Resources Control Board, unit chief of  
3 the Water Quality Certification Unit and project  
4 coordinator.

5                   MR. IVY: Mark Ivy. Outdoor recreation planner  
6 for FERC.

7                   MR. TURNER: David Turner. Wildlife biologist  
8 for FERC.

9                   MR. MURPHEY: Paul Murphey, State Water Resources  
10 Control Board, Division of Water Rights. I am an  
11 engineering geologist.

12                   MS. NGUYEN: Okay. Now for some background  
13 information.

14                   On January 10th of 2008, Eagle Crest filed a pre-  
15 application document, or a PAD, with the Commission, and  
16 requested to use our traditional licensing process.

17                   On June 16th of 2008, they also filed a draft  
18 license application with the Commission, and the Commission  
19 and interested stakeholders filed comments on that draft and  
20 that was filed in September of 2008.

21                   Also in September, Eagle Crest applied to the  
22 Water Board for a water quality certification under Section  
23 401 of the Clean Water Act.

24                   On October 15th of last year, the Water Board  
25 accepted their application and it's now processing it.

26

1                   The purpose of scoping and why we're here. The  
2 National Environmental Policy Act, or NEPA, and the  
3 Commission's regulation, along with the California  
4 Environmental Quality Act, or CEQA, and other applicable  
5 laws require an evaluation of environmental effects of  
6 licensing hydropower projects.

7                   So at this time, we intend to prepare a draft and  
8 final EIS, or environmental impact statement, that describes  
9 and evaluates the probable impacts, including an assessment  
10 of site-specific and cumulative effects, if any, of the  
11 proposed project.

12                   The scoping process is part of NEPA and CEQA and  
13 is used to help the Commission and the Water Board identify  
14 pertinent issues for analysis in their EIS and EIR.

15                   In scoping, we invite participation of federal,  
16 state, local resource agencies, Indian tribes, non-  
17 governmental organizations or NGOs, and the public to help  
18 identify significant environmental and socioeconomic issues  
19 related to the proposed action.

20                   Scoping helps us determine the resource area, the  
21 depth of analysis, and significant issues to be addressed.

22                   Scoping can also identify how the project would  
23 or would not contribute to cumulative effects of the impact  
24 in the area. It can identify reasonable alternatives to the  
25 proposed action that should be evaluated. With scoping, we  
26

1 solicit from participants available information on resources  
2 at issue and determine the resource area and potential  
3 issues that do not require detailed analysis.

4 Through scoping, we are asking for information  
5 that will help us, like I said, conduct an accurate and  
6 thorough analysis. The type of information we're looking  
7 for include, but are certainly not limited to, information,  
8 quantitative data, professional opinions that may help  
9 define the scope, identification of any information from any  
10 other EAs, EIS, or similar environmental studies that are  
11 that are relevant to the proposed project, any existing  
12 information and data that would help us describe the past,  
13 present, and future actions and the effects of the project  
14 on those developments, information that would help us  
15 characterize the existing environment and habitat in the  
16 area, any federal, state, local resource plans, and any  
17 future project proposals that might be affected in the  
18 resource area; for example, the proposal of the landfill,  
19 documentation that the proposed project would or would not  
20 contribute to cumulative adverse effects on any of the  
21 resources, documentation showing why any resource should be  
22 excluded from further analysis.

23 This information can be given to us today orally  
24 or it can be filed written or electronically with the  
25 Commission and the Water Board.

26

1                   We'd like to have a brief discussion of the  
2 project area by Eagle Crest at this time.

3                   MR. HARVEY: Good morning. I'm Jeff Harvey. I'm  
4 the owner's representative for Eagle Crest. Thanks for  
5 coming today.

6                   Just a brief overview of what the project  
7 actually includes. The project is a 1300 megawatt pumped  
8 storage hydroelectric project. It is essential as part of  
9 of storing energy and integrating renewable resources into  
10 California's utility system, generation and transmission  
11 system.

12                   It is unique in that it will be developed in  
13 completed mining pits, the two reservoirs. There are  
14 multiple features of the project -- two reservoirs, the  
15 generation of the turbines, and there are tunnels connecting  
16 those, transmission out from the site and into the site to  
17 power the pumpback systems and then a well field and water  
18 lines. Those are the basic features.

19                   The reservoirs are to be developed in the mining  
20 pits that are located at the Historic Mine site at Eagle  
21 Mountain. And at the surface -- most of the features will  
22 be subsurface. The wells will be at the surface but not as  
23 prominent features. Subsurface will be the pipelines from  
24 the wells to the lower reservoir, the -- all of the tunnel  
25 works -- and I'll show you the diagram in a moment -- are  
26

1 underground and the powerhouse and turbines are underground,  
2 and then the transmission line out to the surface.

3 So at the surface, what you will see will be the  
4 two reservoirs, the transmission line, which is about ten to  
5 12 miles from the Eagle Mountain site south to just north of  
6 the I-10 corridor, and then the reverse osmosis water  
7 treatment system that I'll talk about and the brine ponds  
8 that are associated that will also be at the surface. Even  
9 those will only be seen as a flyover feature. The  
10 transmission line will be the only thing you can see as you  
11 were driving around out at the property.

12 Very unique to this project for hydroelectric  
13 development, no streams; therefore, no fisheries, no fish  
14 bypass flows, no aquatic habitat, no wetlands. So we really  
15 have a unique environment for development of a hydroelectric  
16 project here.

17 This shows the map view of the mountain itself  
18 and of the two reservoirs. The upper reservoir, which is to  
19 be developed at the central pit of the mine site, will  
20 include two dams to augment that pit to be able to take the  
21 full capacity and 25,000 acre feet of water.

22 The lower pit, in the east pit as the mine refers  
23 to it, the lower reservoir, is of adequate capacity right  
24 now, does not need any supplemental dams. That will be  
25 connected by underground tunnel works, the powerhouse, and  
26

1       then up the shaft and tunnel works to the upper reservoir.  
2       And what happens here is we'll have an initial fill from the  
3       well field. That water, 25,000 acre feet, over about two,  
4       three years to fill will fill the lower reservoir. Then  
5       that will be pumped up to the upper reservoir during off-  
6       peak energy periods. That energy stored for peak energy  
7       demand periods is dropped back down through four reversible  
8       turbines, 325 megawatts each, for a total of 1300 megawatts  
9       to produce electricity and water, then return to a  
10      reservoir. So you really have an operation here where once  
11      you get the working fluid, water in is working fluid, the  
12      reservoirs will operate back and forth as you're in either  
13      pumpback mode or in generation mode.

14               From the powerhouse here, the electrical  
15      transmission equipment also underground to a surface  
16      switchyard and that switchyard then, the 500KV transmission  
17      line, which will also be a surface feature, extending, as  
18      I'll show you on a map here to the I-10 corridor. The other  
19      feature here, in response to concerns that were expressed by  
20      the State Water Resources Control Board about water quality  
21      over the long term of the reservoirs, we do have evaporative  
22      losses from the reservoirs that would concentrate salts  
23      ultimately, that we have added a reverse osmosis treatment  
24      system to the -- to the project that will maintain the  
25      reservoirs at the same salinity as the input groundwater and  
26

1 that will produce a brine salt residual and that will go to  
2 brine ponds as shown here.

3 Since -- this is only in the last couple of  
4 weeks, but we have made an adjustment in very recent  
5 discussions with Metropolitan Water District. They have  
6 expressed concerns about the location of the brine ponds  
7 relative to their Colorado River Aqueduct that delivers  
8 water from the Colorado River into the Los Angeles Basin,  
9 and so we are relocating the brine ponds from adjacent to  
10 their aqueduct over to a location probably here. It's going  
11 to be relocated. And they have multiple concerns -- seepage  
12 and what that might do to their aqueduct and wind-blown salt  
13 affecting quality of water in their aqueduct. We will be  
14 maintaining the brine ponds in a wet condition so it won't  
15 have a wind-blown problem. But to ensure them that we  
16 wouldn't have any issues with their aqueduct, we are going  
17 to relocate that.

18 Any features to point out there?

19 (Pause.)

20 On the map view here again, here's the Eagle  
21 Mountain site. The lower reservoir and the upper reservoir,  
22 transmission line out. Here's the 500KV line that comes out  
23 around the present town of -- town site of Eagle Mountain  
24 across the Metropolitan Water District's Pumping Plant, and  
25 then down along the Eagle Mountain co-located with the Eagle  
26

1 Mountain Roadway to a new switchyard at the I-10 corridor.

2 In the draft license application that was  
3 circulated in June of 2008, we did show a different  
4 transmission corridor. Based upon our initial transmission  
5 planning, the original project showed transmission coming  
6 out and going 90 miles to the Devers Substation. That was  
7 years ago. The transmission has changed in this region and  
8 we originally thought that we were going to take our  
9 transmission out parallel with the Metropolitan Water  
10 District's 230KV line, cross the I-10 corridor, pick up the  
11 Devers Palo Verde corridor, 500KV corridor, and then come  
12 down to a new substation approved but not yet built for  
13 Southern California Edison, the Colorado River Substation.  
14 That alternative or that corridor has now been abandoned in  
15 favor of this route to the I-10 based upon our discussions  
16 with the California Independent System Operator, the Cal  
17 ISO, which is the operator of the transmission grid in  
18 California, and Southern California Edison, the primary  
19 utility that actually owns this portion of the transmission  
20 grid. And they recommended based on the number -- there's  
21 tens of thousands of acres of solar projects proposed in  
22 this region. There's also the Blythe Energy Project, the  
23 1,000 megawatts total once the second phase gets built, and  
24 they recommended they had enough power at this switchyard  
25 already, they -- based on the number of solar projects in  
26

1       this location and our project, they wanted to build a new  
2       switchyard here for our interconnection to the regional  
3       transmission grid.

4               So that is a change from what was shown in the  
5       draft license application and it will be shown going forward  
6       in our environmental documents.

7               We also input to the project -- we have a well  
8       field that will be developed out in the Chuckwalla Basin  
9       here along the 177 corridor. I don't have specific  
10      properties. We have numerous properties that we are in  
11      negotiations with right now. We're very close to finalizing  
12      those arrangements. But because we don't have them  
13      finalized, I'm not going to point to specific parcels. I  
14      can tell you that in this area, there are -- we will develop  
15      numerous parcels for wells. Those wells will be connected  
16      by pipelines that will be brought -- co-located again with  
17      the roadway corridor, brought down to the existing  
18      Metropolitan Water District's 230KV transmission line, so  
19      along that same utility corridor bring our water pipeline up  
20      to Kaiser Road and where it will also be co-located then  
21      with the road and then into the lower pit. The water lines  
22      only need to go to the lower pit. Once you get water into  
23      the lower pit, the pumpback is through the reversible  
24      turbines up to the upper reservoir.

25              Anything else here?

26

1                   Oh, one other thing to show you here is the land  
2 ownership in the area. The purple is the Joshua Tree  
3 National Park. The yellow is Bureau of Land Management.  
4 Blue are state lands. White are private lands. So we do  
5 have a combination of private lands that we will acquire,  
6 BLM lands that we will need to obtain a special use permit  
7 for use of, private lands that we're acquiring here,  
8 Metropolitan -- well, I don't think we're actually going to  
9 be in their right-of-way, so perhaps not Metropolitan but  
10 private lands and Bureau of Land Management lands to acquire  
11 rights-of-way for the water pipeline in.

12                   In a profile view, this line representing the  
13 ground surface, this is the lower reservoir, the upper  
14 reservoir, and the pressure tunnels that connect those two  
15 reservoirs with the powerhouse in between, the powerhouse  
16 containing four 325 megawatt turbines, reversible turbines,  
17 so we have the initial fill of water, 25,000 acre feet, as I  
18 said. That water then pumped up for storage into the upper  
19 reservoir during off-peak periods. During peak energy  
20 demand periods, that water dropped back down to generate  
21 electricity and then water returned and stored in the lower  
22 reservoir. Just back and forth on a daily basis with  
23 pumpback in evenings and weekend periods. Generation  
24 primarily daytime weekdays.

25                   As I've said, the primary operations are peak  
26

1 power generation on demand and off-peak power pumpback. Our  
2 role here in California's energy picture is to be able to  
3 capture renewable energy that is produced, for example,  
4 solar over the weekends during off-peak periods and wind  
5 which is prominent at night and weekends but is not reliable  
6 for generation during peak periods. We're able to capture  
7 that power and other residual power in the transmission grid  
8 and pumpback water, store it for use during peak demand  
9 periods, and make that renewable energy reliable and  
10 dispatchable source of power. And this is -- the California  
11 Independent System Operator has identified storage projects  
12 like this as essential to their ability to integrate  
13 renewables in the system and particularly at the level that  
14 California has called for, renewable portfolio standards of  
15 33 percent by 2020, 11 years from now. Our present  
16 renewable portfolio is about nine percent, so we're talking  
17 about nearly quadrupling the amount of renewable energy that  
18 we put into our generation mix in the next 11 years and  
19 renewable sources that are not reliable, that cannot be  
20 depended on for reliable dispatch. They have to be backed  
21 up with other fossil fuel or nuclear power or with storage  
22 in hydro of this type.

23 It is a closed loop system, meaning that once we  
24 have the initial fill of water, we simply work that water  
25 back and forth. We do have seepage and evaporation,

26

1 particularly evaporation losses, and those we will have  
2 annual makeup water for, about 2500 acre feet of annual  
3 makeup water.

4 Our proposed environmental measures and studies.  
5 We have a number of environmental features that we have  
6 built into the project. This project was originally  
7 proposed in the early '90s, went through various permitting  
8 stages. And because of market conditions, electric --  
9 restructuring of the electric utility industry, various  
10 reasons in California's energy markets, the project did not  
11 go forward at that time and is now an essential part of  
12 California's renewable portfolio standards.

13 The most important thing to understand in that  
14 context, though, is that because we have been through  
15 multiple permitting stages, we have been through a lot of  
16 studies. We understand what all of the issues are,  
17 environmental issues. We've also been apprised, through  
18 other environmental documents that have been prepared for  
19 Eagle Mountain, for the landfill project, for other  
20 transmission projects in the region, so we have a wealth of  
21 information that we've been able to draw upon and that --  
22 we've also had extended conversations and consultations with  
23 State Water Resources Control Board, with FERC, with U.S.  
24 Fish and Wildlife Service, with the tribes, and the State  
25 Historic Preservation Office, with Bureau of Land  
26

1 Management, so that we have now incorporated into our  
2 project numerous environmental features intended to address  
3 those environmental issues as we've understood them, and we  
4 understood that -- we understand that out of this process,  
5 we may have other issues to address as well.

6 But those features that are built in right now --  
7 first of all, is location of this project in this depleted  
8 mine site. This is not a pristine environment. It is a  
9 site that has been subject to very extensive mining and the  
10 reservoir locations themselves are in disturbed habitat  
11 areas and disturbed environmental areas.

12 We also have co-located all of our linear  
13 features -- our transmission line, our well field and water  
14 lines -- with existing roadway and utility corridors, trying  
15 to minimize the impacts. We're not just going cross-country  
16 or through native habitat areas that don't already have some  
17 level of human modification and disturbance.

18 We've also tried to minimize the linears and,  
19 fortunately in our work with the ISO and Southern California  
20 Edison, we've been able to reduce our transmission, for  
21 example, from originally 90 miles and then 50 miles down to  
22 12 miles now. So we've reduced our footprint on the land  
23 for those linears.

24 Relative to water, we have a number of features  
25 for water supply. We have developed our well field and the  
26

1 properties that we're talking about have spacing of wells  
2 that are about a mile apart. That's our goal, is to be  
3 about a mile. It doesn't have to be exactly a mile, but in  
4 that area, so that our cone of depression, our drawdown of  
5 the local water table from individual wells does not overlap  
6 with -- our own wells -- doesn't overlap with anybody else's  
7 wells either so we prevent interference with anybody else's  
8 water supply.

9 We also have water quality monitoring at all of  
10 our wells and of course we'll be doing that at the  
11 reservoirs and at the monitoring wells around the  
12 reservoirs, and a number of measures to control seepage from  
13 our reservoirs. A concern that was raised by the State  
14 Water Resources Control Board with regard to potential water  
15 quality degradation in the down gradient aquifer and also  
16 raised by Metropolitan Water District as a concern for  
17 potential contamination of water in their aqueduct.

18 One other feature for Metropolitan Water District  
19 was not just water quality degradation but that seepage from  
20 the reservoirs could cause saturation of ground near their  
21 aqueduct that would result in sediments settling out, a  
22 process called hydrocompaction, that could interfere with  
23 the proper function of the aqueduct and its flow pad.

24 So in response to all those things, we have built  
25 in seepage control measures that start with the reservoirs  
26

1 themselves, with -- once we get to final engineering design,  
2 we will investigate for where there are fissures and cracks  
3 that we can fill with concrete or grout and then grout  
4 curtains for the reservoirs using the fine sediments from  
5 tailings that are on the mine site and perhaps even using  
6 concrete face, particularly on the lower reservoir where  
7 there is contact between the bedrock and the valley  
8 alluvium. On the upper reservoir, we have -- we're really  
9 in solid bedrock. But at that point, we may, based on final  
10 engineering design, put a concrete face to prevent seepage  
11 into that alluvium layer.

12 We also have a series of wells, wells that will  
13 be upstream of each one of the reservoirs -- one well  
14 upstream of each reservoir for baseline control and then a  
15 picket fence, if you will, of wells below each reservoir to  
16 monitor for seepage losses and to recover those seepage  
17 losses, to pumpback and recover those -- that seepage water  
18 into our reservoirs. It's in our interest, beyond the  
19 concerns of the agencies, to not have seepage losses. It  
20 costs a lot of money to pump that water into the -- into the  
21 lower reservoir to start with. As much of that water as we  
22 can keep and maintain as a working fluid, we will have to do  
23 that. So -- so we have those seepage control for water and  
24 for water quality.

25 We also have, in response to concerns -- I

26

1 mentioned earlier about the RO systems -- concerns that have  
2 been brought up by the State Board. We have a reverse  
3 osmosis water treatment system to maintain the reservoirs  
4 and the salinity in those reservoirs. That would normally  
5 be an enormously expensive proposition because of the energy  
6 required to push water through the membranes in an RO  
7 system. We have 1500 feet of elevation difference between  
8 the upper reservoir and lower reservoir. We're going to use  
9 gravity as our source of energy to push that water through.  
10 So we can do this in a very feasible way and treat that  
11 water.

12 The brine pond that will be associated with that  
13 RO system is a double-lined brine pond to prevent leakage.  
14 It also has a leak detection drain system and a recovery  
15 pumpback. We'll have monitoring wells downstream of the  
16 brine pond as well to ensure that we don't have leakage and,  
17 to the extent that anything ever does leak, that we capture  
18 it and pump it back.

19 Other environmental features of the project, we  
20 have conducted extensive biological surveys and surveys for  
21 cultural resources. We have done records search and worked  
22 from existing documentation on the mine site itself. We  
23 have conducted ground surveys of all of the linear features.  
24 This spring, we have additional surveys to conduct for the  
25 changes that I indicated. We originally surveyed for the  
26

1 transmission line from Eagle Mountain to the area near  
2 Blythe. We will now conduct surveys of this new alignment  
3 from Eagle Mountain down the 12-mile corridor down to the I-  
4 10. And we will have -- once we finalize our selection of  
5 properties for the well field, we will have both biological  
6 and cultural surveys done for the well field locations and  
7 the corridors bringing water from the well field into Eagle  
8 Mountain.

9 We understand that we will have mitigation for  
10 desert tortoise. We also understand that there are concerns  
11 about big horn sheep at the reservoirs, possible animals  
12 being attracted to the water source of the reservoirs, and  
13 that we will have wildlife fencing to prevent access to the  
14 reservoirs. And, finally, we do have a cultural resources  
15 consultant that's been engaged in the project and has been  
16 conducting these surveys for us. They also have been in  
17 contact with the tribes and with the State Historic  
18 Preservation officer and have initiated the tribal  
19 consultation and historic consultation processes that we  
20 need to engage in.

21 Am I missing anything? Those are the primary  
22 features.

23 Oh, other studies that we are conducting, a part  
24 of what's been asked. So in addition to those ongoing  
25 investigations, we have an investigation of hydrogeology  
26

1 that is ongoing and nearly completed that includes the  
2 effects of our wells on other local wells, that includes the  
3 effects of our wells on the regional aquifer, and that  
4 includes the effects of our wells and our water use in  
5 relation to all other water users in the region, including  
6 the Chuckwalla prisons, all of the agricultural users, the  
7 landfill project, and all the residential users out there.  
8 So a comprehensive hydrogeologic investigation that has been  
9 developed in consultation with Metropolitan Water District  
10 and now will be completed in consultation with the State  
11 Water Resources Control Board as well.

12 We are also conducting an analysis. There is a  
13 landfill project that has undergone extensive environmental  
14 permitting on the Eagle Mountain site. The owners of that  
15 project have raised concerns about the compatibility of our  
16 project with their project and, in response, we have  
17 conducted an investigation and will be reporting as part of  
18 this environmental review process on how our projects can be  
19 compatible and that we do not believe that the projects are  
20 mutually exclusive in any way, that they are compatible  
21 projects, and we will document how we believe that that fits  
22 together.

23 Other resource issues that will be addressed in  
24 the EIS and EIR, air quality, noise, traffic. For the  
25 California Environmental Quality Act, a requirement starting  
26

1 in 2008 that all projects consider their relation to air  
2 emissions and greenhouse gases relative to global climate  
3 change. That analysis will also be presented.

4 An analysis of -- well, those are the main ones  
5 -- air, noise, traffic, greenhouse gases. Those are the  
6 primary issues that we are -- that we have studies underway  
7 right now and are going to be presenting for use in the EIS  
8 and EIR.

9 Anything else that I should add? Very good.  
10 I'll turn it back to you.

11 Thank you very much.

12 MS. NGUYEN: Thank you, Jeff. The next item on  
13 our agenda is a discussion on the scope of the cumulative  
14 effects of the project.

15 Based on our preliminary analysis of the draft  
16 license application, we have identified water resources, the  
17 desert big horn sheep and desert tortoise, land use, and air  
18 quality as resources that could be cumulatively affected by  
19 the proposed project.

20 At this time, the proposed geographic scope for  
21 water resources is the Chuckwalla Valley Aquifer. The  
22 geographic scope cumulative effects on the big sheep horn --  
23 desert big horn sheep and desert tortoise and land use and  
24 air quality would be the Chuckwalla Valley and the I-10  
25 corridor to Blythe, California.

26

1                   For temporal scope, we will look at a 30 to 50  
2 year into the future, concentrating on the effects of -- to  
3 the resources from reasonable and foreseeable future  
4 actions.

5                   And in the interest of time, we would like to --  
6 before we get into the resource -- the detailed resource  
7 issue discussion, we'd like to see if there are any comments  
8 or questions from Merrill about Office of General Counsel in  
9 D.C. So I'd like to open it up at this time for those  
10 policy and procedural questions and comments.

11                   (No response.)

12                   Merrill, do you have any questions for us?

13                   MR. HATHAWAY: No. I don't think so. I mean,  
14 the only thing I would say, just to respond to everybody,  
15 that we're still in the pre-filing stage. Under the  
16 Commission's rules, since this is now a traditional  
17 licensing process, there is no proceeding. There are no  
18 parties yet. We know that we anticipate that there will be  
19 -- there may very well be a contested proceeding, but we  
20 would have to cross that bridge when it arrives.

21                   And so, basically, I would just urge everybody --  
22 and I think there's a legal concern -- that if the Applicant  
23 finally decides, and it's its choice, to file a license  
24 application, a condition at that time would initiate the  
25 proceeding, would invite interventions and participation by  
26

1       everybody and that any licensing decision, particularly to  
2       go forward with the project, to approve it, could only be  
3       based on substantial evidence.

4               So if there isn't substantial evidence in the  
5       record of the proceeding, then the project cannot be  
6       licensed. Otherwise, it would have to fulfill the standards  
7       of the Federal Power Act.

8               So hopefully, even though this is not an  
9       alternative licensing process, really this pre-filing  
10      scoping is in a spirit of trying to get more collaboration  
11      and cooperation. So I think I would urge everybody to just  
12      be aware they can have a consensus on the issue so that we  
13      wouldn't have a proceeding where people are fighting over  
14      every job submittal because I don't think that's in  
15      everybody's interest. So to try to help us anticipate, to  
16      produce an adequate record for decision, I think it would be  
17      in everybody's best interests. So that's all I have to say.

18              MS. NGUYEN: Anything else?

19              (No response.)

20              Okay. Then let's go into the resource  
21      discussion. From our agenda, you can see that I'm going to  
22      talk about geology and soils, aquatics, cultural, and the  
23      developmental resources, and then my colleagues will take  
24      over the rest of the other resource area.

25              At this time, for geology and soils, we'd like to  
26

1 look at the effects of the project construction and  
2 operation on geology and soil resources, obviously, and then  
3 soil erosion and sedimentation.

4 As Jeff had said, for aquatic resources, we see  
5 no issues at this time since it is a closed system.

6 For cultural resources, the effects of the  
7 project, construction and operation, on any historical,  
8 archaeological, and traditional resources that may be  
9 eligible for inclusion in the National Register of Historic  
10 Places.

11 The effects of the project on the area -- the  
12 defined area of potential effects.

13 For developmental resources, we look at the  
14 effects of the proposed project and any of its alternatives,  
15 including protection, mitigation, and enhancement measures  
16 on the economics of the project.

17 Now we get into water quality and quantity and  
18 air quality from Paul.

19 MR. MURPHEY: Yes. For resources issues  
20 concerning water quality and water quantity, we will look at  
21 potential seepage from both of the mine pits, the former  
22 mine pits, and how that affects the groundwater, and as well  
23 as potential seepage from the brine ponds.

24 We will also look at the effects of the  
25 Chuckwalla Valley Aquifer from the pumping of the

26

1 groundwater, not only the local effects on other groundwater  
2 users but also the regional effects on water levels not only  
3 in the Chuckwalla Valley Aquifer but nearby aquifers, mostly  
4 the Pinto Basin Aquifer, which is up in Joshua Tree National  
5 Park.

6 And also with that evaluation, we will look at  
7 the potential subsidence and how that may effect Met's water  
8 conveyance system.

9 We will also look at the long-term effect of the  
10 water quality, but that will pretty much be addressed with  
11 the reverse osmosis.

12 And also during construction activities, any  
13 potential effects that construction activities will have on  
14 the water quality of the project.

15 And that's pretty much it for the water quality.

16 For the air quality, mostly that will be -- we  
17 will look at the effects during construction on the air  
18 quality in the area. The long-term air quality effects will  
19 be evaluated -- mostly there's a concern with the brine  
20 ponds if they go dry, there might be some air quality  
21 concerns there, so we will look at that.

22 With that, Dave.

23 MR. TURNER: We put together -- just kind of the  
24 background, we put together these issues based on the  
25 consultation record that was in the draft application and  
26

1        what we gleaned from consultation record that's been on file  
2        with the Commission.

3                So we're really looking for your input on whether  
4        we've missed issues or not. Some of these issues we've  
5        identified are -- as Kim had said earlier -- are not issues.  
6        So please feel free to interject in this conversation. We'd  
7        like to make this more free-flow. So please feel free to  
8        interject these comments and let us know if we're missing  
9        something.

10               From the terrestrial resources perspective, we're  
11        going to be looking at how these reservoirs, which are  
12        basically an uncommon type of resource now, basically having  
13        a huge lake out in the middle of the desert, is going to be  
14        affecting the attraction and other -- attraction and other  
15        means -- the wildlife in the area, water fowl, bats, some of  
16        the predators that are particularly -- may target some of  
17        the more sensitive resources like desert tortoise.

18               We're going to be looking at the effects of  
19        construction such as disturbance and habitat fragmentation  
20        and lighting and those kinds of things on desert big horn  
21        sheep, their foraging habitat and patterns.

22               We're going to be looking at the -- how --  
23        whether or not the project is going to represent an  
24        attraction to deer, big horn sheep, and desert tortoise, and  
25        whether those reservoirs may represent a drowning hazard or  
26

1 something in terms of getting trapped in there.

2 The brine ponds could also represent another  
3 attraction and we're going to be looking at the measures  
4 that could be done to reduce that attraction.

5 We're going to look into how the project might be  
6 affecting surrounding vegetation as well as wildlife and how  
7 that might result in the spread of noxious weeds and what  
8 measures could be done to minimize that spread.

9 And we're also going to be looking at some very  
10 sensitive species for the purposes of BLM, their sensitive  
11 species and the State's threatened endangered species.

12 The Commission also has an obligation under the  
13 Endangered Species Act to ensure that its actions don't  
14 jeopardize the continued existence of federally-recognized  
15 and federally-listed species, and the two that have been  
16 identified here are the desert tortoise and the Coachella  
17 Valley milkvetch, so we're going to be looking at how  
18 construction and operation may be affected in these species.

19 Any comments, questions?

20 MR. COOK: So you get a Section 7 consultation?

21 THE REPORTER: Can you state your name, please?

22 MR. COOK: Terry Cook with Kaiser.

23 MR. TURNER: Say that again.

24 MR. COOK: You will be getting a consultation  
25 with the U.S. Fish and Wildlife?  
26

1                   MR. TURNER: We will -- once the application is  
2                   filed with the Commission and we've undergone our analysis  
3                   and review of that, we'll complete an environmental impact  
4                   statement, a draft of that. We'll use that to initiate any  
5                   formal consultations with the Fish and Wildlife Service as  
6                   may be necessary to deal with these two species.

7                   MR. COOK: So you're not doing it up front?  
8                   You're just doing it in connection after the initial  
9                   studies?

10                  MR. TURNER: The action that we take is going to  
11                  be defined on staff's recommendations. So if we -- while we  
12                  are in coordination with the Fish and Wildlife Service early  
13                  on to make sure we're gathering the information they need to  
14                  try and undertake that consultation and identify any  
15                  measures that might minimize that effect to get maybe a  
16                  Board consultation, but I kind of doubt that, given some of  
17                  the habitat, based on that, we'll define what we're  
18                  proposing to be included in the license. That would be the  
19                  action that we consult on. So, by necessity, it actually  
20                  occurs after the application is filed. But we're still  
21                  consulting with the Fish and Wildlife Service, early  
22                  consultation on these other impacts.

23                  I guess I just kind of want to let one thing --  
24                  oh, I'm sorry.

25                  MR. DYOK: Wayne Dyok, a consultant for Buchhurst  
26

1 (ph) Energy. Maybe we could, you know, mention FERC's  
2 process for the non-federal designee for purposes of  
3 consultation and status of that.

4 MR. TURNER: Good point, Wayne. We have  
5 designated Eagle Crest as our non-federal rep for that  
6 informal part of that consultation to talk with the Fish and  
7 Wildlife Service to find the measures that will help  
8 minimize the effects and include that in the application.  
9 So they have been designated.

10 With regard to the cumulative effects on the  
11 desert tortoise, we defined a area that included the I-10  
12 corridor down to Blythe. That was in large part based on  
13 the earlier transmission corridor. I suspect unless we get  
14 comments to the contrary, we're going to be refining that  
15 analysis to withdraw that down now that we have a much  
16 different and shorter corridor, transmission line corridor.

17 And if nobody has anything else, we'll turn it  
18 over to Mark for recreation.

19 MR. IVY: Okay. First off, I was going to say  
20 there's a couple of you that came in late and we do have  
21 copies of the scoping document up here in front if you want  
22 to grab one. You can go through with us. We have the  
23 detailed comments in there.

24 So first I was going to cover the recreation and  
25 land use potential impacts. We're studying the effects of  
26

1 project construction and operation on several issues, first  
2 being recreational use within the project area, including  
3 lands administered by BLM for disbursed recreation use and  
4 the Joshua Tree National Park.

5 Also looking at the effects on special designated  
6 areas, including BLM Chuckwalla Valley Dune Thicket area, a  
7 critical environmental concern, and the Chuckwalla Critical  
8 Habitat Unit, and I'm on page 14 if you're trying to follow  
9 along.

10 Additionally, we're looking at the effects of  
11 project construction operation on other land uses, including  
12 future mineral developments and a potential solar farm in  
13 the area.

14 And the effects of project construction and  
15 operation on the proposed Eagle Mountain Landfill and  
16 Recycling Center.

17 And then the last point in the recreation land  
18 use is the effects of the desalinization ponds that will be  
19 developed and the removal of 2,500 tons of salt from the  
20 upper reservoir on land use.

21 Any questions or comments on the recreation land  
22 use item?

23 (No response.)

24 Okay. Next we'll move on to aesthetics. And  
25 under aesthetic resources -- now on page 15 -- the effects

26

1 of proposed project facilities on visitors who view the  
2 landscape. Dave was just talking about Riverside County has  
3 designated Interstate 10 from Desert Center to Blythe as a  
4 scenic corridor and so, again, that may be narrowed in scope  
5 if we're only looking at that 12-mile transmission line.

6 The effects of project construction and  
7 associated noise on visitors to the area, including Joshua  
8 Tree National Park. And there are designated wilderness  
9 areas nearby and so we'll be looking at the potential impact  
10 on those visitors.

11 Any questions or comments on the aesthetics that  
12 we've identified? And also please let us know if we're  
13 missing anything.

14 (No response.)

15 Okay. The next piece is socioeconomic. We're  
16 looking at the effects of increased traffic and potential  
17 congestion on local roads due to existing mining-related  
18 traffic and project construction and operation, and the  
19 effects of the proposed project on local, tribal, and  
20 regional economies.

21 Any questions or comments on those?

22 (No response.)

23 Okay. Thank you.

24 MS. NGUYEN: Okay. Next thing we have on our  
25 agenda is a discussion of our tentative EIS preparation

26

1 schedule and, as you can see, we'll probably issue a scoping  
2 document, too, sometime in February, next month -- well, two  
3 months -- March, sorry -- March -- and then the next big  
4 filing we expect from the Applicant is their APEA, or  
5 applicant-prepared EA, and the license application,  
6 obviously, also to be filed in March.

7 And as you can see also by the schedule, we plan  
8 to issue two EISs, a draft and a final, with a comment  
9 period in between there for all of you and -- as well as any  
10 resource agency.

11 And there's also a detailed EIS schedule, an SD-  
12 1, if you're interested in getting the month-to-month  
13 schedule, but this is our tentative scheduled at this time.

14 MR. BENNETT: Excuse me. I notice the draft EIS  
15 is going to be issued in July 2010 but you're issuing new  
16 findings before that, in April 2010 according to your  
17 schedule.

18 MS. NGUYEN: That should be 2009. Thank you very  
19 much.

20 THE REPORTER: Can you state your name?

21 MR. BENNETT: My name is Mike Bennett. I'm with  
22 the Bureau of Land Management.

23 THE REPORTER: Thank you.

24 MR. TURNER: For the record, it's July 2009 for a  
25 draft EIS.

26

1 MS. GILLIN: I'm Ginger Gillin with GEI  
2 Consultants. The discussion about the schedule, could we  
3 just clarify exactly what the dates are because I'm not sure  
4 I'm quite following what has been said.

5 MS. NGUYEN: Yeah. It should be April 2011.  
6 Okay. We'll go through it.

7 Scoping Document 2, March of 2009.

8 The APEA and the license application filed March  
9 2009.

10 Issue ready for environmental analysis notice  
11 June 2009.

12 The deadline for filing comments,  
13 recommendations, and agency terms and conditions, August  
14 2009. And this is also just comments from interested  
15 stakeholders. It's definitely not limited to just the  
16 agencies, so please be aware of that.

17 The reply comments to the terms and conditions  
18 from the Applicant due December 2009.

19 A draft EIS issued July 2010.

20 The comments on the draft, September 2010.

21 And the final EIS issued April 2011.

22 MS. WILLIAMS: Okay. I'd like to -- this is Cam  
23 Williams, State Water Resources Control Board. I'd like to  
24 briefly go over the tentative schedule on the State side.

25 And the application for water quality  
26

1 certification came in in September of this past year, and  
2 the following month we accepted it for processing.

3 The other key dates coming up is that the --  
4 we're going to go forward with an Applicant-prepared EIR  
5 next month, in March of 2009, and then the most important  
6 date that the public and non-governmental agencies and other  
7 agencies should be aware of is May of 2009 we're tentatively  
8 proposing to release the draft EIR and the draft water  
9 quality certification.

10 And the State Water Resources Control Board has  
11 decided to use the CEQA public process to release the draft  
12 water quality certification to provide the opportunity to  
13 the public, to agencies, to non-governmental agencies --  
14 organizations to see if there's anything that we may have  
15 missed in our conditions, in our certification to make sure  
16 that it is adequately protective of water quality. And that  
17 will be the key opportunity for these other entities to  
18 provide the comments.

19 So I would strongly encourage that you stay wired  
20 into our schedule, you know. We're going to try to be  
21 aggressive and stick with that, but please provide us  
22 comment because we have the opportunity to put in conditions  
23 that will be incorporated into the FERC license that are  
24 protective of different aspects of the environment.

25 Once we receive comments, under CEQA we've got to  
26

1 provide comments, and so we'll be pretty busy responding to  
2 comments for the record and then the final, which will be  
3 incorporated into the final EIR, and any changes that we  
4 think we need for conditioning in the water quality  
5 certification and that would follow in September of 2009.

6 And that's our schedule, tentatively.

7 MR. TURNER: This is David Turner again. I was  
8 going to say this is really your opportunity to tell us if  
9 we've missed any issues. It's important to understand so  
10 that we understand what kind of record we need to develop to  
11 make an adequate licensing decision, so it's critical for  
12 you guys to review the information, let us know if there's  
13 things we still need to be considering that we've missed,  
14 things we've been characterizing that really aren't issues  
15 so that we don't waste folks' time and money and energy to  
16 develop information to deal with those.

17 And there's a number of opportunities to tell us  
18 and you'd be providing the opportunities to tell us. As Kim  
19 went through, there's -- right now, it's the scoping, which  
20 is the main point. Once we get the application in and we're  
21 ready to proceed with our analysis, we'll issue an REA  
22 notice. That's another point in time you need to be  
23 watching. Give us your comments and recommendations on how  
24 you think the project should be licensed or not. We'll  
25 issue an EIS that does our analysis and makes  
26

1 recommendations to the Commission about how it should be  
2 licensed. You get a chance to review that, tell us where we  
3 missed the boat again. And we'll consider those comments in  
4 our final recommendations to the Commission on its licensing  
5 decision.

6 So there's a number of opportunities to provide  
7 us input, but we're starting early here to try to make sure  
8 we have the issues and the information we need to identify  
9 and to process this application.

10 MR. BENNETT: This is Mike Bennett with Bureau of  
11 Land Management. One of the key issues is the -- is the  
12 right-of-way grant. And actually I just talked to Jeff just  
13 a little bit this morning. Jeff will be meeting with the  
14 BLM Palm Springs, the old office, to basically discuss the  
15 grant and also the EIS requirements right there with our  
16 staff and that -- including a DWMA, the grant, and various  
17 other issues related to the tortoise.

18 So we have not had that meeting as of yet. We  
19 just anticipate in having that within the next few weeks.  
20 They're moving offices, so it's one of those type of  
21 situations, but I think that once we have a chance to sit  
22 down with Jeff and his staff, we would like to get back to  
23 you and, if we need any other refinements, any other issues,  
24 that we would like to bring forth in the EIS.

25 Thank you.

26

1                   MR. HARVEY: And if I might just clarify. The  
2                   DWMA that was referred to is an acronym, D-W-M-A, Desert  
3                   Wildlife Management Area, and pertains particularly to  
4                   desert tortoise, does it not, in our area?

5                   MR. BENNETT: Yeah.

6                   MR. HARVEY: And I believe -- right, the area  
7                   that our transmission line corridor goes across is -- does  
8                   cross through the Desert Wildlife Management Area that he's  
9                   described.

10                  MR. TURNER: Under the current alignment, it  
11                  still does?

12                  MR. HARVEY: That's correct.

13                  MR. TURNER: Okay. When --

14                  MR. HARVEY: To a much lesser extent than it did,  
15                  but it does.

16                  MR. TURNER: It does. When are you planning to  
17                  talk?

18                  MR. HARVEY: We've actually been trying to set a  
19                  meeting with BLM for two months. They have been very busy  
20                  with South Coast Air Quality Management District issues and  
21                  now, with their move -- I've talked to John Kalish, the  
22                  director of the local office, and of course to Mike as well,  
23                  so it will be within the next few weeks we would hope to  
24                  have that meeting.

25                  When is your move complete, Mike?

26

1           MR. BENNETT: We're supposedly hopefully out of  
2 that office by the end of -- end of this month, so it will  
3 probably be the first week of February we should be -- we  
4 should be over. Well, I'll get together with you when I get  
5 back and talk to the -- talk to staff because I need my  
6 biologist and everything, culture folks and all that, too.

7           MR. HARVEY: Excellent. As we've indicated,  
8 we're eager to have that pre-application meeting with the  
9 Bureau.

10          MR. TURNER: As Kim will probably point out in  
11 the next slide, the comment date for scoping input is really  
12 February 16th for us, so we can incorporate those issues to  
13 the extent you can. This thing's moving along pretty  
14 quickly, but that doesn't mean that it's completely set in  
15 granite. As things crop up and information is developed  
16 between you guys, please just put it in on the record and we  
17 can continue to develop it as the application goes along.  
18 But we'd like to get at least the issues defined at this  
19 point, so if you get a chance to file by that February 16th  
20 date, it would be great, in terms of filing your comments  
21 and your concerns about the BLM process.

22          MS. NGUYEN: And if you need -- this is Kim  
23 Nguyen. If you need an extension, just file a letter with  
24 us saying that you need one and we'll probably give it to  
25 you, so --

26

1                   MR. HATHAWAY: Kim, this is Merrill. I've got to  
2 bow out, okay? Goodbye to everybody.

3                   MS. NGUYEN: Thank you, Merrill.

4                   MR. HATHAWAY: Okay.

5                   MS. NGUYEN: Anything else?

6                   MR. COOK: Taking comments now?

7                   MS. NGUYEN: Yes, please.

8                   MR. COOK: All right. I'm Terry Cook. I'm the  
9 vice president of Kaiser Eagle Mountain, LLC and of Mine  
10 Reclamation, LLC, so I'm speaking on behalf of both  
11 companies, just so you're aware. And I'm sure you're aware  
12 of Kaiser and our Mine Reclamation at this point, given the  
13 history of the project.

14                   As you know, Kaiser owns or controls the Eagle  
15 Mountain site. We own or control approximately 10,000 acres  
16 out there. And Mine Reclamation is the developer of the  
17 landfill project out at that site. Those lands are  
18 essential to the Eagle Crest Proposed Pumped Storage  
19 Project. But those lands aren't for sale and Eagle Crest  
20 currently does not have access to the site. And, obviously,  
21 the grant of a preliminary permit by FERC does not grant  
22 them access to the site.

23                   And as I'm sure you're aware by now, the Eagle  
24 Mountain Landfill Project consists of about 6400 acres of  
25 that site and it is under contract to be sold to the Los  
26

1 Angeles County Sanitation District.

2 Obviously, there's been a lot of time and money  
3 invested on that project. Approximately \$80 million has  
4 been invested in that project and I've been in Kaiser for 15  
5 years and it's been longer than my lifetime at Kaiser in  
6 that particular project.

7 The Bureau of Land Management and the Riverside  
8 County produced a joint EIS/EIR and that administrative  
9 record is over 50,000 pages. It includes a 900-page draft  
10 EIR/EIS and a 1600-page final EIR/EIS. And as I'll discuss  
11 in more detail below, we believe that the project is  
12 completely incompatible with the landfill project.

13 I want to commend the Commission and State Water  
14 Board because you've addressed a lot of the items we think  
15 are going to need to be addressed. So my comments are  
16 really going to be more general in nature. Obviously, I'm  
17 going to put a detailed comment letter by the deadline or,  
18 if we need an extension, we'll request an extension.

19 But I think it's valuable to put in context this  
20 particular project. As you've heard, ECEC, which is the  
21 acronym for Eagle Crest Energy Company, first became  
22 interested in the pumped storage project probably around  
23 1989, 1990. They filed a first preliminary permit with FERC  
24 in 1991. FERC -- or ECEC is now in its fourth or fifth  
25 preliminary permit -- I've lost track -- so this project's  
26

1       been kicking around for nearly 20 years. So I -- I myself  
2       need to step back and we think everyone needs to step back  
3       and say, Is this project really a viable project or has this  
4       preliminary process been used and perhaps, frankly, abused,  
5       as a placeholder for something in the future?

6               Kaiser's intervened in the FERC process and has  
7       made past filings in expressing its questions and concerns  
8       regarding the past proposed pumped storage project and will  
9       continue to do so. There are a lot of questions and  
10      concerns, many of which you've already identified,  
11      concerning the environmental matters, resource matters,  
12      economic matters, engineering matters, compatibility of the  
13      project to the landfill that remain unanswered and have  
14      remained unanswered for years.

15             You know, it's been -- it's also interesting to  
16      note to me that I don't believe a pumped storage project has  
17      been built in the United States in over 25 years. The  
18      reason is the economics just simply don't work. And I don't  
19      think they'll work again here in California.

20             In addition, I want to point out that ECEC really  
21      hasn't sought to forward off its proposal through a  
22      collaborative process, at least with Kaiser and the Los  
23      Angeles County Sanitation District to date. There may be  
24      historical reasons for that and we respect Mr. Lowe, but  
25      has not been an effort on that. For example, FERC's visit,  
26

1 we weren't even asked about a possible site visit and so we  
2 had to say no to that on short notice.

3 So I want this opportunity to at least make a few  
4 general comments and correct a few things that perhaps have  
5 been said and -- just a few things.

6 First of all, who's from Washington, D.C.? If I  
7 postpone this meeting now till Monday, you'd be stuck here  
8 over the weekend. That would be a shame but, you know,  
9 that's just one comment I would make.

10 Just so you know, we do have a number of concerns  
11 and there are really five general categories:  
12 Incompatibility with the landfill, huge, huge item;  
13 development resource impacts; water resource impacts;  
14 wildlife impacts; cumulative impacts, and we have a number  
15 of miscellaneous other concerns, and of course we'll detail  
16 those in our comment letter.

17 First, incompatibility with the landfill. As has  
18 been discussed in previous comments, the design,  
19 construction, and operation of ECEC's proposed project is  
20 incompatible or incompatible with the landfill's approved  
21 design operation. It was interesting to note in the meeting  
22 last night, Mr. Harvey acknowledged that already some of the  
23 facilities are being -- at least some of the ancillary are  
24 being changed because of conflicts in the landfill project.  
25 Just today, he mentioned that the possibility of using the  
26

1 fine tailings for possible grouting, if I understood him  
2 correctly, for the -- for the reservoirs, but those fine  
3 tailings are already dedicated for landfill liner, which is  
4 what? -- ten feet thick, at least?

5 MS. COOK: Twelve.

6 MR. COOK: Ten to 12 feet thick. So resources  
7 they plan on using already conflict with the landfill, even  
8 a minor issue such as that, which really isn't minor because  
9 of the problems involved.

10 So we believe it is incompatible. As Mr. Harvey  
11 said, we believe it's compatible. We've been waiting for  
12 the studies that have been promised to show that it is  
13 compatible, so those have to wait and see. But based on the  
14 information provided to date, it is not currently  
15 compatible.

16 Additionally, one just has to step back and say,  
17 Does this make common sense? One must ask -- why would you  
18 put all this water next to all this municipal solid waste.  
19 Generally, solid waste and water do not mix. With seepage  
20 and other concerns, it just doesn't make sense. But those  
21 are issues which will be prudently analyzed, I'm sure, and  
22 I'm sure we'll have extensive comments on the analyses that  
23 are performed.

24 Also, adverse impacts on the development process  
25 is another key concern. It must be recognized that while  
26

1 ECEC's trying to fly under the banner that this is a green  
2 project, it really is not a green project. I don't think it  
3 -- I don't think it meets the current standards for  
4 renewable projects in the State of California. And so  
5 they're obviously going to have to study very closely the  
6 need for the project and how it fits into the power grid and  
7 how it is related to other projects, solar projects, the  
8 LEAPS Project, which is the Lake Elsinore Advanced Pumping  
9 Storage Project, which is very far along in the process,  
10 which is another pumped storage project. But the fact is  
11 that ECEC acknowledges that this project will use more  
12 energy. It tries to explain itself that this is off-peak  
13 power, but yet there has to be studies to see if that really  
14 is available, sources of that off-peak power.

15 Again, they try to fly the banner that it's a  
16 green project but it might use wind power, which is  
17 generally available at night. And yet they failed to  
18 identify the sources of that wind power and other green  
19 power sources that would be used to power that project.  
20 More likely than not, off-peak power will be generated often  
21 by fossil fueling, fossil burning emission plants. So the  
22 sources of off-peak power and the project's impact on  
23 greenhouse gases must be reviewed, which is one of the items  
24 that's already been mentioned in the scoping sessions.

25 So the impact on capacity and liability to the  
26

1 local and regional transmission systems is required.

2 In addition, the financial analysis will be  
3 necessary to look at the project economics relative to the  
4 other alternative sources, the need for such projects. And  
5 I think you can find abundance of information already in  
6 proposed pumped storage projects that they don't pinch a lot  
7 unless there's subsidized rate-making involved.

8 Obviously, the next major impact is water  
9 resources impacts, which has been talked about a lot but --  
10 and I don't need to belabor the point -- and it's difficult  
11 to analyze these impacts with the lack of information and  
12 the failure to have an adequate project description. We  
13 keep getting promises they may be here, they may be there.  
14 One of the critical things that is lacking here is an  
15 adequate and complete project description because comments  
16 are required on what a complete project description is. So  
17 they really haven't identified the exact location of  
18 sources, where they hope things -- and things, frankly, keep  
19 changing, such as the transmission line. That's to be  
20 expected, but we have to have a set project that we can  
21 focus upon.

22 So groundwater. In their draft application, they  
23 acknowledge that groundwater supply hasn't really been  
24 identified. They hope to be able to acquire suitable lands  
25 for purchase and so forth.

26

1           In addition, I want to highlight -- which was  
2 mentioned last night -- the proposed rule of the Bureau of  
3 Reclamation. This in itself may be a fatal flaw to the  
4 project, the Bureau of Reclamation rule and the impact of  
5 water in the Chuckwalla Basin on some of these wells. So  
6 that will have to be something that's certainly analyzed and  
7 I would suggest it be done quickly because that could be  
8 ultimately a very fatal flaw.

9           So the questions are: Is there sufficient water?  
10 It's clear there will be necessary water fill to continually  
11 refill the reservoirs and obviously that's going to be --  
12 the impacts to local supplies will have to be studied,  
13 assuming that can be done.

14           The project also has risk of seepage, subsidence,  
15 in other related water land use projects in the area,  
16 particularly impacts to Metropolitan's Colorado River  
17 Aqueduct is primary concern, as well as the greener  
18 Chuckwalla Valley and Groundwater Basin.

19           There's obviously the wildlife and habitat  
20 concerns. It struck me with interest the proposed schedule  
21 for the EIS/EIR. They are very aggressive and I think,  
22 frankly, are unduly optimistic. And just from practical  
23 experience in dealing with the landfill project, for  
24 instance, we were required to do two years of biological  
25 monitoring before we could release the EIR/EIS for the

26

1 desert big horn sheep. So just as a practical point, you  
2 might want to get those things locked up first because there  
3 could be some very long lead time if the agencies make you  
4 do required monitoring so you can have accurate description  
5 of the impacts and possible mitigation.

6 So ours was what? -- two years? -- two years  
7 required lead time on some of these issues. So that's not  
8 being critical. It's just being realistic on what may be  
9 required.

10 Obviously, the biological studies will have to  
11 study the habitat, the entire project, including the areas  
12 surrounding the water wells, the route of the transmission  
13 lines, such as the BLM has discussed, the route of the water  
14 line and it also has to look at migration corridors as well  
15 as habitat which would be very critical, particularly for  
16 the desert tortoise.

17 Obviously, it's already been mentioned that the  
18 introduction of a large body of water in the desert produces  
19 some unique study challenges and some unique questions and  
20 impacts. You also need to address the areas of potential  
21 attraction of predators, putrefaction, putrefaction of the  
22 introduction of nutrients in an otherwise rendered  
23 environment which the water was produced, the new artificial  
24 wetland habitats, impacts to migratory water fowl, which has  
25 already been mentioned, the cumulative and -- and the

26

1 cumulative biodiversity impacts.

2 The brine ponds have been mentioned. Those could  
3 truly be an attractive and deadly nuisance to migratory  
4 water fowl.

5 So, obviously, all these mitigation measures will  
6 need to be discussed in detail, and we understand that  
7 situation.

8 Overall cumulative impacts. Obviously, the  
9 conflict with the landfill would be a cumulative impact. If  
10 for some reason FERC should decide there's a preference of  
11 this project over the landfill project, obviously a  
12 cumulative impact analysis would need to examine where  
13 municipal waste would go if not to Eagle Mountain, which is  
14 a cumulative impact which has not been mentioned today.

15 Beyond a study, the cumulative impacts associated  
16 with the landfill, ECEC should study the cumulative impacts  
17 associated with the other planned projects, including a  
18 substantial number of solar projects in the area which I  
19 think was mentioned today.

20 There are, as the BLM knows, thousands and  
21 thousands of acres proposed for solar projects.

22 There are some other matters that should be  
23 considered. Obviously, there will be significant  
24 acquisition of service damages associated with the  
25 acquisition of the Eagle Mountain property and business

26

1 interests, whether owned by Kaiser and/or the Los Angeles  
2 County Sanitation District. I'm not even sure how ECEC can  
3 prepare an adequate application without access to the site.

4 And then excessive alternatives, they also must  
5 scrutinize the project's economics and have real costs  
6 associated with the project, the acquisition of the fee  
7 ownership as opposed to the very inadequate assumed amounts  
8 currently in the financial projections.

9 There's a few other things that came up in the  
10 course of what I've heard. Again, I want to point out we  
11 need an accurate and complete project description. Things  
12 keep changing, and I understand they do change. But we  
13 can't be too heavy on this. And so we need to have a  
14 complete and accurate --

15 It was mentioned that the mines were depleted.  
16 That is incorrect. There's plenty of iron ore there. The  
17 steel mill went out of business for lots of reasons but it  
18 wasn't for the lack of iron ore. So one of the resource  
19 impacts you need to look at is the impact on the mineral  
20 resources. The State has a Section 36 mineral interest up  
21 there. That all has to be looked at.

22 In addition, Kaiser on just a portion of the  
23 property has 158 million tons of rock that's basically sort  
24 of been stockpiled and you need to determine what access  
25 will be limited to that resource. Kaiser does have mining  
26

1 operations out there in shipping the rock and reclamation  
2 activities. So all those impacts will need to be analyzed.

3 It's going to be a very long road for the  
4 project. Again, I question whether it's currently really a  
5 viable project. We believe it truly is incompatible with  
6 the landfill, so we'll anxiously await the studies that  
7 we've been waiting for for 20 years to see that it is  
8 compatible, supposedly.

9 But we believe that there are inconsistencies  
10 with the project and some fatal flaws in the project.

11 Let's see. What else? That's it for the moment.  
12 As you would expect, we'll have an extensive comment letter  
13 which we'll file.

14 MR. TURNER: I've got a couple follow-up  
15 questions.

16 MR. COOK: Okay.

17 MR. TURNER: You've raised a number of real  
18 legitimate concerns that I think we've captured in our  
19 scoping document.

20 MR. COOK: I think many you have. Yes.

21 MR. TURNER: Please let us know what we didn't.  
22 One, you make a good point about adding information based on  
23 site access. The Commission will be making decisions based  
24 on what we have before us. We obviously don't have the  
25 authority under the preliminary permit to require or give  
26

1 the rights to an applicant to go out and gather data where  
2 they don't have access to those lands.

3 So that's just kind of a head's up. If they  
4 can't do it, we'll do -- we'll have to base our analysis and  
5 our decisions based on the information before us.

6 MR. COOK: Well, I understand that.

7 MR. TURNER: And so if they don't have access,  
8 the -- part of your questions may be simply that it's based  
9 on less than perfect information.

10 MR. COOK: Well, it may be based on inaccurate  
11 information; for instance, some of the (indiscernible) back  
12 here don't accurately reflect the situation. They're more  
13 than 20 years old, 30 years old.

14 MR. TURNER: I would encourage you if that's the  
15 case and there's more information on which you want us to  
16 base that decision, put that in the record for the  
17 Commission to consider.

18 MR. COOK: We'll supply it.

19 MR. TURNER: The other question I have is you  
20 suggested that you still have mining operations ongoing  
21 there or in the sense of the stockpile; did I understand  
22 that?

23 MR. COOK: Yeah. We ship rock from there. It's  
24 not huge quantities, given the market and the collapse of  
25 the building market, given the distance from the market but,  
26

1       yes, shipment of rock occurs.

2                   Now, when I say "mining," there's no active iron  
3       ore mining where there's blasting and stuff. No. But the  
4       shipment of rock is considered mining and we have  
5       reclamation activities.

6                   MR. TURNER: And those stockpiles are relative to  
7       this project and to the landfill are where?

8                   MR. COOK: They're all throughout -- they're all  
9       throughout the site.

10                  MR. IVY: Is that the tailings?

11                  MR. COOK: Well, a lot of it is the overburden  
12       that was excavated. So, for instance -- for instance, I  
13       know we had an independent evaluation and stuff that's not  
14       part of the landfill project. There was 158 million tons  
15       above surface that's just sitting there. And there's  
16       potentially huge rock activity. For instance, if there's  
17       ever a Salton Sea restoration project, you know, we already  
18       asked if they had potentially 20 million tons of rock.

19                  So the potential there and how it may impact  
20       other projects is huge, potentially. I don't know the  
21       answer to that.

22                  MR. TURNER: I guess I'm trying to envision where  
23       is that information source that the Commission would be able  
24       to --

25                  MR. COOK: We'll provide it.

26

1                   MR. TURNER: You'll provide it in the sense of  
2 how that fits into the schedule for the landfill and your  
3 operations there and --

4                   MR. COOK: We'll do the best we can. The problem  
5 is, again, we need a specific project description on what's  
6 going to impact and how the operations may impact on access.

7                   MR. TURNER: But can you not provide us the  
8 information on where your plans are going for that area?

9                   MR. COOK: For which area?

10                  MR. TURNER: For the landfill, for the --

11                  MR. COOK: Oh, yeah. I mean, like I said,  
12 there's already a 50,000-page administrative record on the  
13 landfill.

14                  MR. TURNER: I guess -- I understand what you're  
15 saying. You needed to understand how to comment. But if  
16 you don't get it in a timely fashion -- the information I'm  
17 encouraging you provide the Commission is to say, Here is  
18 where we have all of the stockpiles. Here's where we  
19 envision extracting that if and when we need to use those  
20 stockpiles. So we can see it out --

21                  MR. COOK: It often depends on the market, the  
22 type of rock desired, if it's rip-rap, what size, where,  
23 cost of transportation. It's kind of up in the air. So it  
24 would be really helpful to have a project description, their  
25 activity, to kind of know where we're going to be precluded  
26

1 from.

2 I guess on the site visit, they mentioned the  
3 railroad was abandoned yesterday. That's not correct. The  
4 railroad's not fully usable because of a flood. But the  
5 railroad is still used. In fact, we have a locomotive up  
6 there that we do a lot of repairs and things like that, so  
7 -- yes?

8 MS. WILLIAMS: We'd like to ask you a question  
9 about your concerns about the addition of water in the  
10 surrounding two reservoirs with the landfill cells being in  
11 the center and what exactly would be your concern with the  
12 seepage? My position, looking at this as a hydrogeologist,  
13 and being familiar with Title 27 requirements and having  
14 worked at landfills, is I understand what the state requires  
15 for protection of groundwater seepage losses. And that's a  
16 concern if we're going to be putting water in abandoned mine  
17 pits. But one of the mitigation measures that we're  
18 insisting on is an extraction well gallery on the down  
19 gradient side that would collect any potential seepage. And  
20 if that being the case, with the landfill cells being in the  
21 center, any -- if the double liner leachate collection  
22 system that's required for the landfill fails, and I'm not  
23 exactly familiar with whether there's an extraction well  
24 field required for the landfill, but certainly there's an  
25 opportunity for a marriage there if you put two extraction  
26

1 well fields.

2 So, you know, I really don't understand from a  
3 technical perspective what would be the concern there if  
4 you've got an extraction well field down gradient.

5 MR. COOK: Well, I'm not an engineer. I'm not an  
6 engineer. We have to get the engineers out there.

7 MS. WILLIAMS: Okay. But I'm just -- I just  
8 wanted to point this out to you, sir, as, you know, it's an  
9 issue for you.

10 MR. COOK: Yeah.

11 MS. WILLIAMS: And I'm just saying at first  
12 glance I don't understand it.

13 MR. COOK: Well, part of the concern was the  
14 seepage from the side slopes and the stability of the slide  
15 slopes on the line, not necessarily -- that's one of the big  
16 concerns.

17 MS. WILLIAMS: You're talking the fractured --

18 MR. COOK: Right.

19 MS. WILLIAMS: -- fractured bedrock more so than  
20 seepage from the lower reservoir which we're, you know, very  
21 concerned about into the alluvium where the groundwater  
22 supply is.

23 MR. COOK: Correct. Correct.

24 MS. WILLIAMS: Okay.

25 MR. COOK: If it's in the lower reservoir, it's  
26

1 generally past. But in the upper reservoir, it's not. It's  
2 right in between there.

3 MS. WILLIAMS: Right. Okay.

4 MR. COOK: So -- but I -- trust me, we have lots  
5 of people we pay thousands of dollars to that will look at  
6 it.

7 MS. WILLIAMS: Oh, I understand. But that would  
8 help, you know, in your comments just to be really explicit  
9 about the -- that incompatibility of the water with the  
10 landfill going in and potential seepage losses because I  
11 wasn't quite understanding.

12 MR. COOK: Let me ask you: Will this transcript  
13 be available?

14 MS. NGUYEN: Yes.

15 MR. TURNER: It will.

16 MR. COOK: How soon?

17 MS. NGUYEN: Well, if you'd like to purchase it  
18 from them, as soon as Mike gets done transcribing or  
19 recording. But for our purposes, I mean, once they're done  
20 with that, we at FERC have -- get a copy, a first look at  
21 it, go over it, see if we have any corrections to be made,  
22 and then it gets filed.

23 MR. TURNER: It's usually in about --

24 MS. NGUYEN: Two weeks I would say.

25 MR. TURNER: Yeah, two weeks, ten days, two  
26

1 weeks.

2 MS. NGUYEN: Right. But if you want it before  
3 then, --

4 MR. COOK: Two weeks? So before the comment  
5 period is over, obviously.

6 MS. NGUYEN: Yes.

7 MR. COOK: Okay. That's probably good enough.  
8 One other thing I want to mention, that all the addresses  
9 you're using for us, you have an incorrect suite number. It  
10 should be Suite 480 and not 850. Unfortunately, our mail  
11 does not often get there with an incorrect suite number  
12 because there's no such suite number anymore, so if you  
13 could just make a note of that and make that correction to  
14 all the mailings.

15 MS. NGUYEN: Address from within the scoping  
16 document is from our official service list. So if that's  
17 incorrect, then I -- I mean, I suggest --

18 MR. COOK: It is.

19 MS. NGUYEN: I suggest you e-mail our FERC  
20 Subscription people, and I can get you the e-mail address  
21 for that, and just tell them to make that correction.  
22 Because that has to officially be done by you.

23 MR. COOK: Okay. We haven't been there for like  
24 six or seven years.

25 MR. HARVEY: May I address two comments?  
26

1 MS. NGUYEN: Yes.

2 MR. HARVEY: One, the adequacy of -- or our  
3 access to the site that was discussed. It is true we do not  
4 presently have access to the portion of the project that  
5 includes the reservoirs and of course the underground works  
6 we would have never had access to anyway. So we're really  
7 talking about the reservoirs.

8 We have had access to those sites in the early  
9 '90s and there were investigations that were done that we  
10 were still able to draw upon that were utilized here.

11 We also have a wealth of information,  
12 environmental information, based on the environmental  
13 investigations that were done for the landfill and all of  
14 that documentation we've been able to draw upon, and of  
15 course we're able to use current aerial photography to  
16 augment and verify our understanding about that site. Those  
17 sites are also not sensitive for wildlife or for cultural  
18 resources. So in terms of getting people out on the ground  
19 to look at those reservoirs sites, specifically we  
20 understand about big horn sheep and we understand about  
21 ravens and other things being attracted to the water bodies,  
22 but those aren't things that you need to go out and scour  
23 the existing mining pits to make analysis of.

24 So while we don't have access to those sites, we  
25 certainly have a complete ability to do the environmental  
26

1 assessment of the issues that will pertain to cultural and  
2 biological resources for those sites and we have a very  
3 reasonable understanding of geology and the structures that  
4 we're dealing with out there to get us through the license  
5 process and then at final engineering, of course, we'll have  
6 to go out and determine where we have fissures and cracks  
7 and what we need to do for grouting and seepage control.  
8 But those analyses can be done right now without having  
9 access to the site with the wealth of information that is  
10 already available.

11 And the second thing I'd like to ask if -- Mr.  
12 Cook mentioned that 20 years ago and the landfill has been  
13 in process for 20 years as well, it would help us very much  
14 in our finalizing our analysis of compatibility between our  
15 project and their project to understand what is the status  
16 of the landfill and what is the -- and whatever bonding  
17 activities, as you requested, and, for example, what is the  
18 timing that they would expect to start development of the  
19 landfill and to actually be placing solid waste there, what  
20 kind of phases and maybe what are the initial preparation  
21 actions that go along with that timing so that -- what we  
22 want to understand if the landfill is going to begin  
23 development concurrent with our timing or that we're  
24 envisioning for construction of our project, then that's  
25 part of what we need to figure out for compatibility. If  
26

1       they're five years or two years or however many years after  
2       or before, then that affects our analysis of compatibility  
3       as well. So it would help us very much to understand the  
4       current status of the landfill and what kind of timing for  
5       development of that.

6               MR. COOK: I can answer part of that question.  
7       The other part of the question needs to be responded to by  
8       the Los Angeles County Sanitation District because they will  
9       be the owner and the operator of the landfill so it will be  
10      up to them on timing as to construction.

11             The only thing I can relate to you is the  
12      Mesquite Landfill Project, which they also purchased, and  
13      they, once they purchase it, begin immediate construction to  
14      do that. It was like two or three years of construction. I  
15      think it's now open, not for rail haul, but I believe it's  
16      open for trash. So that's something you'll have to direct  
17      to them since we're not going to be the builder of the  
18      landfill project. Los Angeles County Sanitation District  
19      is.

20             And as far as the status, we're in litigation  
21      before the Ninth Circuit Court of Appeals. The landfill  
22      project has received all of its permits, received all of its  
23      federal approvals, received all of its state and local  
24      approvals. It was challenged at the state level under the  
25      CEQA. That went to the California Court of Appeals, which  
26

1 we were successful in overturning the lower court. The  
2 lower district court, federal district court, found against  
3 us on the BLM portion of the land exchange. We had our  
4 hearing on December 6th of 2007, so we're awaiting a  
5 decision at any time. Frankly, we're very optimistic about  
6 it, if you were at the court hearing, from what the judges  
7 said about the -- about the case.

8 So that's where it's at. It's been in litigation  
9 for 15 years, longer, and this will probably be about the  
10 final case, but we're confident that it will be resolved in  
11 our favor.

12 And once that proceeds, there will be a closing  
13 with the Los Angeles County Sanitation District and then  
14 they will own the property and -- and the experience with  
15 Mesquite was they began construction immediately once they  
16 closed on it.

17 MS. NGUYEN: I'm sorry. What was that?

18 MR. COOK: They -- it's my understanding they  
19 immediately began construction on the project, which I've  
20 heard they spent over a hundred million dollars in preparing  
21 the site. You probably know more than I do about that, so  
22 --

23 MS. WILLIAMS: Only via the Regional Board.

24 MR. COOK: Okay.

25 MS. WILLIAMS: It was a big price tag. And I  
26

1 just want to confirm my experience that it does take a  
2 couple years to build the cells to the line or leachate  
3 collection system. But once that's in place, then they can  
4 immediately start receiving the --

5 MR. HARVEY: May me ask one final point of  
6 clarification? Mr. Cook, you indicated that the landfill  
7 project is fully permitted. It's my understanding, and  
8 perhaps my confusion, that all of those permits are  
9 contingent upon the landfill so that none of those permits  
10 are actually final and that some of those permits had dates  
11 on them that have now passed. Is that correct or is that  
12 confusion with what I'm reading in the record?

13 MR. COOK: A little bit of confusion. All the  
14 permits were granted. All those are being renewed. The  
15 only one that I know of that may have lapsed that there's a  
16 question where you need one now is a 404 permit. All the  
17 air permits and everything else is renewed. But, because of  
18 the current status of the landfill litigation, they're not  
19 invalid but they're in effect held in abeyance because you  
20 don't have a project until the litigation's resolved.

21 MR. HARVEY: Thank you.

22 MS. NGUYEN: Anything else?

23 MR. DYOK: I'm wondering if we can ask the BLM  
24 representative where they are on the programmatic EIS for  
25 the solar projects as we're going to be looking at the  
26

1 cumulative impacts. If we could get a sense on the status  
2 of that?

3 MR. BENNETT: The programmatic is being -- it's  
4 been scoped and it's with the state and with the electric  
5 consultant. California, for the sake of basically all the  
6 solar projects we've got, we're still figuring out what to  
7 do because right now, as has been mentioned, I've got  
8 127,000 acres under applications from Desert Center to  
9 Blythe and all the other field offices we have in Southern  
10 California -- I guess it's pretty close to half a million --  
11 so we have a lot of work to do yet to get these things  
12 going.

13 MS. NGUYEN: Is there anything else? I have one  
14 comment I'd like to put on the record, and this is from the  
15 representative from the Fish and Wildlife Service on our  
16 site visit yesterday. And I'm helping out here, Jeff,  
17 because I know we discussed this at our site visit that I  
18 think we were possibly going to look into tapping into the  
19 existing transmission line possibly for the new transmission  
20 line corridor because there's an existing transmission line  
21 there, but there might be an engineering issue associated  
22 with that; is that correct?

23 MR. HARVEY: It's correct that the question was  
24 raised by the representative -- I don't remember Tanika's  
25 last name -- but the representative from U.S. Fish and  
26

1 Wildlife Service whether or not we could tie our  
2 transmission lines to the existing Metropolitan Water  
3 District 230KV towers and simply run our transmission out  
4 that way. I explained to her that just by engineering  
5 design, those 230 kilovolt towers are holding all of the  
6 wires that they can hold and that we have a much larger  
7 transmission, 500 kilovolt transmission system, that  
8 actually takes us another route in addition. So there would  
9 be no way to simply tie our wires onto their towers  
10 structurally. It would be wonderful if it could happen but  
11 that's not the way it works, unfortunately. We have to have  
12 our own towers for -- and we also need to have the full  
13 amount of power. Our transmission lines are going to be  
14 fully committed for our project's needs for generation out  
15 and for pumpback power in.

16 So, unfortunately, there is not an opportunity  
17 for us to share those towers in engineering design. Thank  
18 you.

19 MR. IVY: I'd like to add to that. There's a  
20 further question she asked about if you could build a new  
21 tower in the same spot since you have to build new towers  
22 anyway. That might be able to accommodate both.

23 MR. HARVEY: Good point. That was her follow-up  
24 question, was could we simply replace Metropolitan Water  
25 District's towers with our towers and put their wires on our  
26

1 towers and that we would still only have one line. Again,  
2 not really feasible from an engineering standpoint. For one  
3 reason, again, the route that their line takes is to go into  
4 the Julian Hine Substation, their Hayfield Pumping Station,  
5 and then on to the Devers Substation here in the north end  
6 of the wind farm. Our transmission route is very different  
7 to interconnect to the regional grid as the system has to  
8 function.

9 And the other factor is that those lines are in  
10 use -- the Metropolitan Water District's lines are in use  
11 and the only way you'd be able to construct our towers and  
12 put their lines there would be to put their towers -- their  
13 lines, excuse me -- for some period of time out of use and  
14 interrupt their service and they rely upon that as a  
15 constant need, not something that's interruptable power, so,  
16 again, from an engineering standpoint, just not a feasible  
17 solution.

18 But we wish it was. It would make our lives  
19 easier to have -- to be able to double up on someone else's  
20 system like that.

21 MR. IVY: Thank you.

22 MS. NGUYEN: So I guess the only parallel is that  
23 it's existing line for a while and not the entire 12-mile  
24 corridor?

25 MR. HARVEY: A very short section. In fact, then  
26

1           we cross them and we follow the roadway corridor rather than  
2           their transmission corridor. That's correct.

3                   MS. NGUYEN: Thank you.

4                   MR. HARVEY: Thank you.

5                   MS. NGUYEN: Anything else from BLM?

6                   (No response.)

7                   Hearing nothing else, I guess that's it for us.  
8           We'll adjourn the meeting and I'd like to thank you again  
9           for coming and for participating and we look forward to  
10          getting your comments and going forward. Thank you again.

11                   MR. HARVEY: Thank you.

12                   (Whereupon, at 10:36 a.m., the scoping meeting  
13          was adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

Document Content(s)

27376.DOC.....1-70