

PUBLIC MEETING
BEFORE THE
STATE WATER RESOURCES CONTROL BOARD

In the Matter of:)
)
 ADMINISTRATIVE PROCEDURE ACT)
 PUBLIC HEARING TO RECEIVE)
 PUBLIC COMMENTS ON PROPOSED)
 MAXIMUM CONTAMINANT LEVEL)
 FOR HEXAVALENT CHROMIUM AND)
 DRAFT ENVIRONMENTAL IMPACT)
 REPORT)
 _____)

SIERRA HEARING ROOM
JOE SERNA, JR. - CALEPA BUILDING
1001 I STREET
SACRAMENTO, CALIFORNIA 95812

WEDNESDAY, AUGUST 2, 2023

9:30 A.M.

Reported by:

Peter Petty

APPEARANCES

Board Members

E. Joaquin Esquivel, Chair
 Dorene D'Adamo, Vice Chair
 Laurel Firestone
 Sean Maguire
 Nichole Morgan
 Courtney Tyler, Clerk to the Board

Staff

Eileen Sobeck, Executive Director
 Jonathan Bishop, Chief Deputy Director
 Eric Oppenheimer, Chief Deputy Director
 Andy Sawyer, Office of Chief Counsel

Also Present

Presenter Panel:

Kim Niemeyer, Office of Chief Counsel
 Bethany Robinson, Division of Drinking Water
 Darrin Polhemus, Deputy Director, Div. of Drinking Water

Interpreter

Maraid Jimenez

Public Comment

Oscar Ortiz, City of Indio
 Thom Bogue, Dixon City Council
 James P. Ward, Jr., Dixon City Treasurer
 Jared Voskuhl, CASA
 Tim Worley CWSA
 Norman Benson
 Joanne Lee, Coachella Valley Water District
 Nick Blair, ACWA
 Kelli Hutten
 Oracio Gonzalez, City of Coachella
 Trudi Hughes, California League of Food Producers
 Valentin Cornejo

Public Comment (continued)

Jesus Calvillo
Rebecca "Becky" Quintana, AGUA Coalition
Jesus "Tutuy" Montes
Nydia Medina
Raquel Sanchez, AGUA Coalition
Rosabel Bejar
Yesenia Segovia
Salma Alatorre
Uriel Saldivar, AGUA Coalition
Mayra Hernandez
Maria Luisa Munoz
Rob Spiegel, California Manufacturers & Technology Assoc.
Eileen Conneely, American Chemistry Council
Karina Cervantez, Calif. Assoc. Of Mutual Water Companies
Evangelina Marujo
Yasmeen Nubani, Twentynine Palms Water District
Kyle Jones, AGUA Coalition
Edmund Fitzgerald
Andrea Abergel
Andria Ventura, Clean Water Action
Michael Claiborne, Leadership Council for Justice and Accountability
Bryan Osorio
Castulo Estrada, Coachella Valley Water District (CVWD)
Michael Pardo, Sr.
Maricela Mares-Alatorre
Antonio Juaregui, Community Water Center

I N D E X

	Page
Introductory Remarks	5
Proposed Regulation Presentation	8
Draft Environmental Impact Report Presentation	28
Public Comment	46
Adjourned	172

P R O C E E D I N G S

AUGUST 2, 2023

1:39 P.M.

MR. ESQUIVEL: Hope everyone had a good lunch. Appreciate everyone's patience. We'll begin on item number five.

Here at the top, if anyone is needing translation services, please do go see the interpreter at the corner.

(Speaking in Spanish)

Thank you, everyone. I want to quickly read this introduction and we can get to today's discussion on setting the maximum contaminant limit for hexavalent chromium.

The Division of Drinking Water has proposed regulations to establish a maximum contaminant level for hexavalent chromium, a naturally occurring element found throughout California and also produced by certain industrial processes.

The proposed regulations would also establish a detection limit for purposes of reporting and other associated requirements.

The purpose of today's Administrative Procedures Act Public Hearing is to receive public comments regarding the proposed regulations.

Today's hearing will begin with staff presentations consisting of background information and

1 brief overview of the proposed regulations and California
2 Environmental Quality Act documentation.

3 Following the presentation, we'll begin receiving
4 your public comments. We ask that comments be kept to no
5 more than three minutes in length to help ensure that
6 everyone interested in commenting is afforded the
7 opportunity.

8 I'll note at this point, I believe we have about
9 33 commenters to help folks plan, so, we'll want to make
10 sure we're hearing everyone's voice.

11 Today's hearing is an opportunity for you, the
12 public, to provide oral comments on the regulations in a
13 public forum. If you do not wish to provide your comments
14 orally, you may also submit written comments today, or if
15 you haven't already, you may submit your written comments
16 following the instructions provided in our notice of
17 proposed rulemaking, and we'll also make sure that there's
18 a link for folks to be able to get to that quickly.

19 The purpose of this hearing is to provide an
20 opportunity for the public to provide comments on proposed
21 regulations. Today's oral comments and all written
22 comments received by the close of the comment period will
23 be addressed in subsequent regulation documents developed
24 by the State Water Board staff and will be made available
25 to the public.

1 The State Water Board will not be taking an
2 action on the proposed regulations today. The adoption of
3 the regulations by the State Water Board is currently
4 anticipated to happen this coming winter.

5 If revisions are made, the public will be
6 provided an opportunity to comment on those revisions.

7 I also want to let you know this meeting is
8 obviously being webcast and recorded, so please do speak
9 clearly when you are called up.

10 For those of you on -- perhaps watching us
11 virtually, if you are not on the Zoom platform already you
12 need to do so in order to comment. If you have challenges
13 doing so, there is a link at the top of the agenda and a
14 sign-up form, but you can always email the Clerk of the
15 Board at board.clerk@waterboards.ca.gov, and she can help
16 ensure that you're on the platform here with us.

17 This hearing will, like I said, begin with a
18 staff presentation on proposed regulation by Dr. Bethany
19 Robinson, a Water Resource Control Engineer for the
20 Division of Drinking Water's Regulatory Development Unit,
21 followed by Kim Niemeyer with the Office of Chief Counsel
22 on the draft Environmental Impact Report prepared in
23 support of the proposed regulations.

24 With that out of the way, I'd like to hand it
25 over to Ms. Robinson - Dr. Robinson, apologies.

1 DR. ROBINSON: Thank you. This presentation is
2 for the proposed hexavalent chromium maximum contaminant
3 level, and I am Bethany Robinson.

4 Next slide.

5 We're going to start this presentation with
6 background information before moving on to the regulatory
7 proposal, then we'll discuss cost estimates, economic
8 feasibility and the timeline for projected events after
9 this hearing. After the presentation, we'll move on to
10 public comments.

11 Next slide.

12 The main objectives of this hearing are to review
13 the proposed hexavalent chromium regulation and to provide
14 an opportunity for the public to comment on the proposed
15 regulation. There will not be any board action taken
16 today. And if changes are made to the proposed regulation,
17 there will be future opportunities to comment.

18 Next slide.

19 This slide shows a brief overview of the proposed
20 regulations development. We held six public workshops from
21 April, 2020 to April, 2022 that covered a range of topics:
22 The white paper on economic feasibility, draft treatment
23 costs, CEQA scoping, and an administrative draft of the
24 regulation which was released in March of 2022.

25 The notice of proposed rulemaking was published

1 on June 16th, and today we are at the public hearing.

2 The public comment period has been extended and
3 now closes at noon, next Friday, August 11th. The timing of
4 board adoption depends on the number and nature of comments
5 received and whether any changes are proposed in response.

6 Regular rulemakings such as these are required to
7 be completed and submitted to the Office of Administrative
8 Law no later than one year after the notice of publication.

9 I'll discuss the possible timing and effective
10 dates at the end of the presentation.

11 Next slide.

12 This slide shows the material released for the
13 current comment period, all of which is available on the
14 rulemaking webpage. The Notice of Proposed Rulemaking
15 includes information on how to comment, a summary of the
16 proposal and other information we're required to provide.

17 The proposed regulation text shows each change
18 we're proposing to California's regulations.

19 The initial statement of reasons, or ISOR, I-S-O-
20 R, is where we explain each piece of the proposed
21 regulation and why it's needed. And all of our reasoning
22 is either in that document or one of its attachments.

23 Attachment 1 contains 85 tables that break down
24 information on affected systems and their estimated costs.

25 Attachment 2 is the Standardized Regulatory

1 Impact Assessment, also called SRIA, which includes the
2 Cost Estimating Methodology, or CEM. This is where the
3 cost data and assumptions can be found.

4 Attachment 3 is a table showing all other
5 chemicals with MCLs of other public health goals, or PHGs,
6 and Attachment 4 is a summary of the lab surveys.

7 Attachment 5 contains the cost estimates for all
8 individual sources.

9 Earlier this week we also released an errata
10 sheet to correct a calculation error in the ISOR.

11 Next slide.

12 CEQA documentation has also been released, which
13 includes a draft Environmental Impact Report and Notices of
14 Availability and Completion.

15 You can find all of these documents on the
16 rulemaking webpage, which is available at
17 bit.ly/Cr6-rulemaking.

18 Next slide.

19 What is hexavalent chromium? It's a heavy metal
20 used in industrial applications and found naturally
21 occurring throughout the environment.

22 Chromium typically exists in two forms, trivalent
23 and hexavalent. The trivalent form is not considered
24 toxic, but hexavalent chromium causes cancer and is toxic
25 to the liver and kidneys. Hexavalent chromium is also

1 referred to as chromium-6, chrome-6, chromium hexavalent
2 and hex chrome.

3 Next slide.

4 Hexavalent chromium has been detected in 53 of
5 California's 58 counties. Counties with the most sources
6 showing occurrence of hexavalent chromium are Los Angeles,
7 San Bernardino, Fresno, Riverside and Stanislaus.

8 The presence of hexavalent chromium can be
9 naturally occurring in some ground water, or it can be
10 contamination from industrial activities.

11 Next slide.

12 This map shows drinking water sources that have
13 annual averages exceeding 10 micrograms per liter of
14 hexavalent chromium. While the occurrence clusters in some
15 areas, it's also widespread throughout the state.

16 Next slide.

17 Now let's move on to some regulatory background.
18 What are MCLs?

19 The term "MCL" stands for maximum contaminant
20 levels which are standards limiting the concentrations of
21 chemicals in drinking water for the protection of public
22 health.

23 Health and Safety Code section 116365 requires
24 that MCLs be set as close to the corresponding public
25 health goal, or PHG, as is technologically and economically

1 feasible.

2 Next slide.

3 This means that MCLs are established for the
4 protection of public health. The public health goal, or
5 PHG, for hexavalent chromium is 0.02 micrograms per liter.

6 PHGs are set by the Office of Environmental
7 Health Hazard Assessment, or OEHHA. OEHHA evaluated cancer
8 and noncancer health risks separately. The PHG of .02
9 micrograms per liter represents a theoretical cancer risk
10 of one in 1,000,000, based on drinking two liters of water
11 each day for 70 years.

12 OEHHA has also determined that a health protected
13 value of two micrograms per liter would protect against the
14 effects of liver toxicity.

15 The theoretical cancer risk at the proposed MCL
16 of 10 micrograms per liter is one in 2,000.

17 Next slide.

18 Now that we've discussed MCLs, let's review DLRs.
19 What are DLRs? According to the regulations, the detection
20 limit for purposes of reporting, or DLR, means the
21 designated minimum level at or above which any analytical
22 finding of a contaminant in drinking water resulting from
23 monitoring required under this chapter shall be reported to
24 the State Board. This means that any monitoring results
25 below the DLR are considered nondetect and are not required

1 to be reported.

2 Next slide.

3 Why do we establish DLRs? DLRs protect drinking
4 water quality by assuring confident quantification of
5 chemicals that may adversely affect public health. This is
6 important because confidently measuring chemicals to the
7 lowest value technologically feasible provides a solid
8 foundation for understanding health impacts which may be
9 used to prioritize regulations.

10 DLRs also support feasibility analyses for future
11 MCL reviews and potential revisions.

12 Next slide.

13 Let's finish up the background section with some
14 existing requirements. Monitoring for a new MCL for an
15 inorganic contaminant like hexavalent chromium is required
16 to start within six months of the effective date of the
17 regulation. However, sampling from the previous two years
18 can be substituted for initial monitoring if it was
19 performed in accordance with all of the monitoring
20 regulations, including the proposed DLR of 0.1 micrograms
21 per liter.

22 Permit amendments may also be required in some
23 cases, such as when there's an addition or change in
24 treatment.

25 Next slide.

1 This regulatory proposal centers around the
2 proposed hexavalent chromium MCL of 10 micrograms per liter
3 and a DLR of 0.1 micrograms per liter. However, there are
4 quite a few other components.

5 In the next set of slides, we'll cover the
6 compliance schedule, the Consumer Confidence Report and
7 health effects language, the Compliance and Operations
8 Plans, the analytical methods, the best available
9 technologies, or BAT, and which entities we expect to be
10 affected by the proposed MCL.

11 Next slide.

12 This table shows the compliance schedule for the
13 hexavalent chromium MCL, which is broken down by water
14 system size.

15 Systems that serve 10,000 or more service
16 connections will have a compliance date two years after the
17 regulation takes effect.

18 Systems that serve 1,000 to 9,999 service
19 connections will have a compliance date three years after
20 the regulation takes effect.

21 The smallest systems, those that serve less than
22 1,000 service connections, will have a compliance date four
23 years after the regulation takes effect.

24 The column on the right shows the earliest
25 compliance dates for this regulation. However, the

1 regulation could become effective later than January 1,
2 2024, which would affect these dates.

3 There will be more discussion on when the
4 regulation might become effective at the end of the
5 presentation.

6 Next slide.

7 The Consumer Confidence Report is an annual
8 drinking water quality report that systems are required to
9 send to their consumers. This regulation includes text for
10 typical contaminant origins which must be included in
11 Consumer Confidence Reports when hexavalent chromium is
12 detected.

13 The language for typical contaminant origins for
14 hexavalent chromium is on the slide. I'll pause for those
15 who would like to read it.

16 (Pause)

17 When a hexavalent chromium MCL violation occurs,
18 public notifications will be required to include the
19 following language that is also on the slide. I'll pause
20 for those who would like to read that.

21 (Pause)

22 Next slide.

23 In addition, if a system exceeds the hexavalent
24 chromium MCL before the applicable date in the compliance
25 schedule, they must include the following italicized

1 language in their Consumer Confidence Reports. I'll pause
2 for those who would like to read it.

3 (Pause)

4 Next slide.

5 Compliance plans are required for systems that
6 exceed the MCL before their compliance date. Those
7 compliance plans must be submitted within 90 days of the
8 exceedance. They must ensure compliance by the compliance
9 date, and they must be implemented once they're approved.

10 Next slide.

11 To be approved, compliance plans must include the
12 following: The proposed method for complying with the MCL,
13 the date by which the system will submit final plans and
14 specifications, any dates for starting and completing
15 construction and if a new and modified treatment process is
16 proposed, then they will also need a pilot study, and the
17 compliance plan must include the date by which a treatment
18 operations plan will be completed.

19 Systems can make amendments to the compliance
20 plans, and systems are required to implement their approved
21 compliance plans.

22 Next slide.

23 Operations plans will only be required if a new
24 or modified treatment process is proposed. When they're
25 required, they must include the following, if applicable:

1 A performance monitoring program, an equipment maintenance
2 program for each unit process, how and when each unit
3 process is operated, the procedures used to determine
4 chemical dose rates, any reliability features, and a
5 treatment media inspection program.

6 The operations plan must be approved by DDW
7 before treated water is served.

8 Next slide.

9 Analytical methods are used to assess water
10 quality, and DDW has a responsibility to ensure that the
11 analytical methods used for compliance are appropriate to
12 assess water quality.

13 EPA methods 218.6 and 218.7 are both capable of
14 reporting concentrations down to 0.1 micrograms per liter,
15 the proposed DLR, while maintaining a high level of
16 confidence.

17 We have also confirmed adequate laboratory
18 capacity for demand at the proposed MCL and DLR using these
19 methods.

20 Next slide.

21 Three treatment technologies have been identified
22 as best available technologies, or BAT, for hexavalent
23 chromium: Ion exchange, reduction coagulation filtration,
24 or RCF, and reverse osmosis.

25 The effectiveness of these BATs was summarized in

1 the peer review documents which are available on the
2 hexavalent chromium web page.

3 It's also important to note that even though
4 these three treatment technologies have been selected as
5 BAT, other treatment options may be allowed as well.
6 Treatment is not restricted to BAT. BATs are identified to
7 communicate which treatment technologies are generally
8 expected to reliably remove a contaminant, in this case
9 hexavalent chromium. They are not required to be used.

10 Next slide.

11 Before we look at a table of affected entities,
12 let's define those who are affected.

13 We're defining an affected source as any source
14 with a running annual average that exceeded 10 micrograms
15 per liter between January 1, 2010, and June 21, 2021.

16 A running annual average is an annual average
17 taken over four quarters and is recalculated each calendar
18 quarter, so that only one quarter is being swapped out for
19 each calculation.

20 The highest of these values, the highest running
21 annual average, was used for each source as a historical
22 worst case scenario.

23 An affected system is any system with at least
24 one affected source. The affected population is all
25 persons within an affected system, and the affected service

1 connections are all connections within an affected system.

2 Next slide.

3 This table shows estimates for the systems,
4 sources, connections and people affected at an MCL of 10
5 micrograms per liter.

6 On the far left we have the system types, which
7 are community systems, nontransient noncommunity, or NTNC
8 systems, and wholesalers.

9 There are 160 community systems with 412 sources
10 that are estimated to be affected. These systems serve
11 about 1.3 million connections and 5.3 million people.

12 There are 62 NTNC systems with 72 sources that
13 are estimated to be affected. These systems serve almost
14 600 connections and about 15.6 thousand people.

15 In addition, four wholesalers with 10 sources are
16 estimated to be affected.

17 Next slide.

18 Over this next set of slides we'll discuss the
19 estimated costs and the assumptions behind those costs.

20 These costs were estimated generically for
21 California and did not use site-specific information. The
22 costs assumed that every system would pursue treatment.
23 These costs were broken down into per system, per source,
24 per person and per connection cost.

25 Costs were estimated for a range of potential

1 MCLs between one, which was the previous DLR, and 50, which
2 is the total chromium MCL.

3 Treatment costs were estimated separately for
4 each source and depend on contamination levels. Higher
5 source concentrations of hexavalent chromium cause higher
6 treatment costs.

7 As previously discussed, these source
8 concentrations are assumed to be the highest running annual
9 average of the previous 10 years, or the historical worst
10 case.

11 Next slide.

12 The next couple of slides will cover the cost
13 assumptions. The cost estimates assume that each affected
14 source would be treated, would be treated separately and
15 would be treated to eight micrograms per liter for an MCL
16 of 10 micrograms per liter, and I'm calling this treating
17 to 80 percent of the MCL.

18 The capital cost estimates were based on
19 treatment plants capable of treating a source's full flow
20 to less than one microgram per liter. However, operations
21 and maintenance, or O&M costs, are based on treating source
22 flow from the highest running annual average to 80 percent
23 of the MCL.

24 Another critical assumption is that the source
25 flow is equal to the total amount of water produced by the

1 system, divided by the number of active sources. This also
2 means that we are assuming that each source in a system
3 will have the same flow.

4 Next slide.

5 Land costs were excluded, but sales tax of 7.25
6 percent were added to the capital costs.

7 In addition, all costs were adjusted to June,
8 2022 dollars, using the Engineering News Record, or ENR,
9 cost indices.

10 Average flow was calculated using 150 gallons per
11 person per day for community and wholesaler systems and 120
12 gallons per person per day for nontransient noncommunity,
13 or NTNC systems.

14 Average flow was used for O&M costs, while a
15 peaking factor of 1.5 was used for capital costs.

16 Next slide.

17 The cost estimates assume that all effective
18 systems would need to prepare both compliance and
19 operations plans, even though this is likely an
20 overestimate.

21 Costs were based on an estimate of 10 hours to
22 prepare compliance plans and 90 hours to prepare operations
23 plans.

24 Cost estimates used in median California
25 engineering salary of \$113,200 times 1.4 to account for the

1 costs of benefits and employment taxes.

2 It was estimated that compliance plans would cost
3 \$752 each to prepare, and operations plans would cost
4 \$6,857 each to prepare.

5 Next slide.

6 A model was used to estimate statewide costs. In
7 this model costs were estimated for each affected source,
8 those with running annual averages higher than the MCL, and
9 for each of the most common expected treatment types, SBA,
10 for strong based anion exchange, WBA, weak based anion
11 exchange and RCF, reduction coagulation filtration.

12 The treatment type with the lowest estimated cost
13 reviews for each source. Different flow ranges had
14 different assumptions as well, all of which can be found in
15 the cost estimating methodology.

16 All sources used to estimate the cost can be
17 found in the documents relied upon, which are available at
18 bit.ly/Cr6-rulemaking-file.

19 Next slide.

20 This slide show the estimated annual cost for an
21 MCL of 10 micrograms per liter. The top table is for
22 community water systems and the bottom table is for
23 nontransient noncommunity or NTNC systems.

24 Before I start discussing these values, I want to
25 point out the far right column which shows the specific

1 tables in ISOR attachment one that these values come from.

2 We can see that for both community and NTNC
3 systems per source cost increases with system size, which
4 is because larger systems usually have larger sources.

5 The same is true for per system cost. A larger
6 system will generally need more water for its customers
7 which will cost more on a per system basis.

8 Generally, the opposite trend is seen with per
9 connection, per person and per volume costs which all tend
10 to decrease as the system size increases. This is due to
11 economies of scale. Generally, larger systems have more
12 customers over which to spread costs.

13 Next slide.

14 I'll pause for a few seconds for those who would
15 like to read this slide and reiterate that all these values
16 can be found in our documents posted online.

17 (Pause)

18 Now, let's look at the breakdown of these costs
19 on individuals. We estimate that 13.6 percent of
20 California residents may see water bill increases as a
21 result of the hexavalent chromium MCL. The majority of
22 these residents, 11.5 percent of Californians, may see
23 monthly water bill increases up to \$20. A small portion of
24 residents, 1.9 percent of Californians, may see monthly
25 water bill increases up to \$58. A very small portion of

1 residents, less than .3 percent, may see higher water bill
2 increases.

3 When we look at the largest category of systems,
4 those with at least 10,000 connections, the average and
5 median monthly water bill increase is \$8.

6 Next slide.

7 These estimated costs are statewide estimates and
8 not the actual costs systems would face when complying with
9 the MCL. Capital costs were amortized at seven percent
10 over 20 years, and most systems would see less than a \$50
11 increase in monthly household water bills. State financial
12 assistance may be available.

13 In addition, systems with fewer than 200
14 connections may be eligible to use point of use, POU, or
15 point of entry, POE, devices for compliance which can be
16 used instead of centralized treatment.

17 Next slide.

18 This slide shows the steps taken to set an MCL.

19 Step one, what level can we measure to, was
20 answered with a DLR of 0.1 micrograms per liter.

21 Step two, what level can we treat to, was
22 answered with the BATs' treatment limits which have shown
23 to be as low as about one microgram per liter.

24 The first two steps are part of the technological
25 feasibility of the MCL, but the third step is all about

1 economic feasibility. What treatment level is economically
2 feasible? This was answered with the proposed MCL of 10
3 micrograms per liter.

4 Let's take a closer look at technological and
5 economic feasibility.

6 Next slide.

7 Technological feasibility is relatively
8 straightforward. Because hexavalent chromium can be
9 measured to .1 micrograms per liter and treated to one
10 microgram per liter, the MCL of 10 micrograms per liter is
11 technologically feasible.

12 Next slide.

13 Many considerations were included when
14 determining economic feasibility, such as the estimated
15 compliance costs, the total per system, per source, per
16 connection, per person, and per unit of water cost, the
17 median, maximum and monthly household cost increases, the
18 types and sizes of affected systems, information for
19 affected systems in the 2022 Drinking Water Needs
20 Assessment, the impacts of future planned regulations, an
21 analysis of household cost increases by system size, the
22 variability of unit costs at alternative MCLs, and the cost
23 effectiveness.

24 Next slide.

25 The Division of Drinking Water staff have

1 determined that the proposed MCL is economically feasible.
2 4.7 of the 5.3 million affected people would only see
3 monthly cost increases of \$8 or less. And there are
4 resources available to potentially mitigated the challenges
5 of compliance for systems that are already struggling.

6 Next slide.

7 As part of the economic feasibility analysis, it
8 was discovered that there would be no significant cost
9 savings for small systems at alternative MCL values without
10 substantial reductions in protections to public health.

11 In addition, estimated costs are based on
12 conservative assumptions, and for those smaller systems
13 that might find the regulation most economically
14 burdensome, there are ways to mitigate those costs,
15 including the use of point of entry, POE, or -- either
16 point of use, POE, or point of entry, POE, devices and
17 consolidations with nearby systems.

18 Next slide.

19 This timeline shows the important dates after
20 today for this regulation. First is the comment deadline,
21 which has been extended to noon on August 11th. Because we
22 only have one year to complete the rulemaking process, our
23 deadline is one year out from the notice publication, or
24 June 16, 2024. And if we finish this process on the very
25 last day, the latest regulation effective date would be

1 October 1, 2024. You may recall that we discussed January
2 1, 2024, as the earliest effective date. It's more likely
3 that the effective date will be somewhere in between
4 January 1st and October 1st, such as April 1st or July 1st.

5 After the effective date, whenever that may be,
6 systems are required to start turning in compliance plans
7 which are due within 90 days of an exceedance. Because MCL
8 exceedances are calculated using annual averages, it may
9 require up to four quarters of sampling to determine
10 whether there will be an exceedance.

11 The compliance deadline which has been previously
12 discussed, would be two, three and four years after the
13 effective date.

14 Next slide.

15 Here's a quick reminder about written comments.
16 They can be emailed, mailed, or dropped off, and all of
17 these instructions are in the Notice of Proposed
18 Rulemaking, which can be found on the hexavalent chromium
19 webpage.

20 Next slide.

21 Here are some resources, including a link to sign
22 up for the drinking water program announcement list serve
23 for future announcements, if you haven't already.

24 Thank you for your time today, and with that, I'm
25 going to hand it over to Kim Niemeyer.

1 MS. NIEMEYER: Good afternoon, Board and members
2 of the public. My name is Kim Niemeyer from the Water
3 Board's Office of Chief Counsel, and I'm going to do a
4 high-level overview of our draft environmental impact
5 report, or EIR, that was prepared in support of the
6 regulations.

7 Next slide, please.

8 Section 15187 of the CEQA Guidelines and section
9 21159 of the Public Resources Code require certain
10 agencies, including the State Water Board, when adopting a
11 rule or regulation requiring installation of pollution
12 control equipment or establishing a performance standard,
13 to prepare an analysis of the environmental impacts of the
14 reasonably foreseeable methods of compliance. This EIR
15 serves as that analysis.

16 The EIR looks at the potential impacts from the
17 methods of compliance, the feasible mitigation and the
18 reasonably foreseeable alternative means of compliance.

19 This EIR does not look at site-specific impacts,
20 but considers a reasonable range of environmental, economic
21 and technical factors, populations, geographic areas and
22 specific sites.

23 Next slide.

24 So, what are the reasonably foreseeable means of
25 compliance that we analyzed? Well, first we looked at the

1 best available technology, or BAT, identified in the
2 regulations as the reasonably foreseeable means of
3 compliance with the regulations.

4 As you already heard in the prior presentation,
5 the regulations identify both weak and strong ion exchange,
6 reduction, coagulation, filtration and reverse osmosis as
7 available technologies.

8 The use of best available technologies to comply
9 with the regulations is not, however, required, and public
10 water systems can use alternative means of compliance.

11 Next slide.

12 During our CEQA scoping meeting we heard from a
13 number of people that we should consider the environmental
14 impacts of alternative means of compliance. Some of these
15 were identified at that time, such as increasing reliance
16 on surface water.

17 In addition, we reviewed a number of compliance
18 plans that were submitted when the last hexavalent chromium
19 standard was in place, which included descriptions of the
20 actions systems planned to take to comply with the original
21 regulations. These included blending and drilling new
22 wells.

23 We also included purchasing water or
24 consolidating with another system and using stannous
25 chloride treatment on this list of alternative means of

1 compliance.

2 The Environmental Impact Report considers the
3 potentially significant environmental impacts from both the
4 reasonably foreseeable and the alternative means of
5 compliance and often refers to all of these interchangeably
6 as the reasonably foreseeable means of compliance.

7 Next slide.

8 So, where did we get our information from to
9 determine impacts? First, to determine the potential
10 impacts from the reasonably foreseeable means of compliance
11 we relied upon the Division of Drinking Water's extensive
12 experience, which includes regulating and permitting other
13 treatment projects using these best available technologies.

14 For example, ion exchange is a very common
15 treatment technique used for treating other constituents
16 such as arsenic and uranium. Generally, many of the
17 projects involving these best available technologies do not
18 have significant environmental impacts that cannot be
19 mitigated, but potential impacts will, in part, depend on
20 where and how individual treatment projects are
21 implemented.

22 The Water Board has also permitted, funded and
23 been the lead or responsible agency for projects involving
24 the identified alternative means of compliance such as
25 consolidations and projects involving the expansion of

1 surface water treatment. And we relied, too, on this
2 experience when considering potential impacts.

3 Second, we also reached out to some of the public
4 water systems already treating for hexavalent chromium to
5 find out about their systems, such as the footprint size of
6 their treatment facilities and their operations, including
7 their waste disposal practices.

8 Third, we also considered any environmental
9 documentation prepared for the ten current hexavalent
10 chromium treatment projects operating in the state and
11 other environmental documents prepared previously in
12 anticipation of having to comply with a hexavalent chromium
13 drinking water standard.

14 Finally, we also looked at a number of data sets
15 to assess environmental settings which would help us
16 understand the potential impacts.

17 For example, we looked at the USEPA's superfund
18 site boundaries and the location of CalEPA Cortese List
19 sites and compared those with the information we have about
20 where there are wells that exceed the hexavalent chromium
21 proposed MCL.

22 We recognized, however, that project level
23 impacts are going to vary depending on the size, location,
24 and type of project implemented and the environmental
25 resources in and around the project site.

1 We recognized that it is possible that at a
2 specific site with particularly sensitive environmental
3 resources the installation of treatment or addition of a
4 new well could cause potentially significant impacts as
5 compared with baseline conditions.

6 Although we have a good understanding of the
7 areas where hexavalent chromium detections are above the
8 proposed MCL, the State Water Board cannot predict how each
9 public water system will choose to comply, where the site-
10 specific compliance projects will be located, what site-
11 specific sensitive resources may be located there, what
12 mitigation measures are feasible, and what potentially
13 significant environmental impacts there could be.

14 Because of this the analysis in the Environmental
15 Impact Report considered many of the impacts to be
16 potentially significant and unavoidable.

17 Next slide.

18 The type of impacts identified primarily related
19 to the construction and operation of treatment, although it
20 was recognized that there also could be impacts related to
21 monitoring.

22 Impacts related to alternative means of
23 compliance were much more generalized because those types
24 of projects are going to by their very nature be very site
25 specific. But we did identify generally some potential

1 impacts related to their construction and operation.

2 The analysis also recognized the potential for
3 cumulative impacts related to other treatment and
4 consolidation projects being approved or funded by the
5 Board but did not find that the regulation would result in
6 growth-inducing impacts because there are not existing
7 constraints on growth due to hexavalent chromium
8 contamination that would be alleviated by the regulation.

9 For the alternatives analysis, the environmental
10 impact report considered a no project alternative, an
11 alternative that listed stannous chloride as best available
12 technology, and also analyzed the alternatives that were
13 considered in the initial statement of reason, and that was
14 the MCLs from one to 15, 20, 25, 30, 35, 40 and 45.

15 The alternatives analysis concluded that less
16 stringent or higher MCL values would result in less systems
17 having to install treatment or otherwise address the
18 exceedance, and more stringent or lower MCL values would
19 result in more systems having to comply with the
20 regulations potentially resulting in more impacts.

21 Slide 7, next slide.

22 The Environmental Impact Report cannot quantify
23 impacts associated with the implementation of any specific
24 project. It is too speculative to assume the size, type
25 and location of potential compliance projects.

1 Although it is anticipated that treatment would
2 be installed within areas that are already disturbed, such
3 as within the footprint of existing well sites,
4 distribution pipes and treatment works, and that any
5 potentially significant impacts could be mitigated, many of
6 the impacts are identified as being potentially significant
7 and unavoidable due to the fact that the Water Board cannot
8 control the location of the projects, the type of
9 mitigation, or whether mitigation will even be required.

10 For example, because a treatment facility could
11 be located on prime agricultural land, the State Water
12 Board cannot say there would be no impact on prime
13 agricultural land in this Environmental Impact Report.
14 However, it is likely that most public water systems would
15 be able to avoid impacts to prime agricultural land and
16 other sensitive locations when implementing their site-
17 specific compliance projects.

18 The Environmental Impact Report identifies
19 potential mitigation measures that lead or responsible
20 agencies could require to avoid impacts. But because those
21 requirements are within the responsibility and jurisdiction
22 of other public agencies and not the State Water Board at
23 this time, the Environmental Impact Report takes a
24 conservative approach and finds most impacts to be
25 significant and unavoidable.

1 Next slide.

2 Public water systems that have to prepare their
3 own Environmental Impact Reports for their compliance
4 projects can tier off of this EIR.

5 Public Resources Code section 21159.1 allows the
6 use of focused Environmental Impact Reports for projects
7 that consist solely of installation of pollution control
8 equipment required by a specific agency's rules or
9 regulations, if the agency requiring the pollution control
10 prepared an Environmental Impact Report that included an
11 assessment of growth-inducing and cumulative impacts from
12 and alternatives to the project, and this EIR meets those
13 requirements.

14 Public water systems will generally be the lead
15 agency for their compliance projects. For privately-owned
16 water systems, including many nontransient noncommunity
17 water systems, a public agency approving the project will
18 serve as the lead agency. In many cases this is the
19 county, city or other jurisdiction with primary oversight
20 over the project. In some cases, it may be the State Water
21 Board which permits the operation of public water systems
22 or provides funding for projects.

23 We also anticipate that many projects will be
24 able to rely on other means of compliance with the
25 California Environmental Quality Act instead of having to

1 prepare focused Environmental Impact Reports, including,
2 for example, relying on mitigated negative declarations.

3 Next slide.

4 We are just about ready for your comments, and
5 you may comment on any part of the proposed regulations,
6 the Environmental Impact Report, or both.

7 Again, the regulation documents can be found at
8 the site on the slide. In addition, hard copies of the
9 Environmental Impact Report can be reviewed at all of the
10 Division of Drinking Water's district offices, here at the
11 CalEPA headquarters, and at the County Law Library in
12 downtown Sacramento. Again, it's also available online.

13 The comment period, as mentioned previously, is
14 now scheduled to end August 11th at noon.

15 I'll now hand it back to the Board Chair for the
16 public comment portion of the hearing.

17 MR. ESQUIVEL: Thank you, Dr. Robinson and Ms.
18 Niemeyer. I appreciate the overview, and I have no
19 questions but just want to acknowledge and thank everyone
20 for their good work and patience around all this. I know
21 that we've been signaling a desire to bring this maximum
22 contaminant limit to the Board sooner, and glad we are here
23 at this moment to be considering this workshop and this
24 discussion. I know the last time the Board considered and
25 adopted an MCL was that first year that I joined the Board

1 in 2017, so, it's good to have this here.

2 I know there's been a lot of work, though, being
3 done on the regulatory side. These moments when MCLs are
4 here before us are not the only ones. We've been setting
5 notification limits for PFAS response levels as well, and
6 just really appreciate I know that you have been doing and
7 the patience for everyone that's been part of this
8 discussion, so, just thanks for that work.

9 Looking to any colleagues for any comment or
10 question at the top. Board Member Firestone.

11 MS. FIRESTONE: Thanks, and I won't do comments
12 until after public comment because I want to hear public
13 comments, but I just had some questions if you could
14 clarify.

15 So, one is on the notice to consumers, can you
16 just clarify if systems -- no matter the system size and
17 how much time they are potentially getting in compliance
18 periods. So, no matter what size, are consumers going to
19 get the same health information and the same frequency of
20 notice of exposure if they have sources above the MCL
21 level? I saw the language that's for if you're in a
22 compliance period explaining that you have a certain time
23 and what the plan is of the system to do it, but outside of
24 that difference, is everyone, no matter what system size,
25 getting the same language and frequency on exposure and

1 health impacts?

2 DR. ROBINSON: If it's detected in the system,
3 they're required to report all the same information.

4 MS. FIRESTONE: And is there a difference with
5 frequency if you're getting, say, a violation versus if
6 you're in -- under a compliance plan?

7 DR. ROBINSON: So, the Consumer Confidence
8 Reports are annual, but any violation, depending on the
9 notice, would need to go out much sooner than that.

10 MS. FIRESTONE: Okay. So, there might be some
11 frequency, and the type of notice would be different, but
12 the Consumer Confidence Reports -- consumers would be
13 getting the same information through the Consumer
14 Confidence Reports. If they're in violation there's
15 usually what, annual notices of violation or something in
16 addition to Consumer Confidence Report that they're getting
17 a notice? I just can't remember.

18 DR. ROBINSON: There's usually an additional
19 notification.

20 MS. FIRESTONE: Yeah, okay. So, there might be
21 an additional notice at some point, but the information is
22 the same and everyone will be getting that no matter the
23 size.

24 Okay. And then another question is, so, in the
25 EIR we recognized there's alternative means of compliance

1 that probably systems will end up using, if they can, like
2 blending, or drilling a new well, or consolidation, and we
3 didn't include any of those in the cost estimate for the
4 Economic Feasibility Analysis. Can you just comment on why
5 we didn't, and if there's some way that we might be able to
6 approach doing that to recognize that, you know, a system
7 right next to another system that doesn't have it, we do
8 analyze that in the needs assessment in terms of
9 consolidation potential.

10 And I know it's very complicated and each system
11 is going to be different, but I was just wondering if you
12 could comment on is there an approach that we might be able
13 to use to try to recognize that, because otherwise what
14 you've recognized in the slides and in the documents is
15 it's an overestimate because most systems that have any
16 alternative to installing treatment on every single source
17 are going to choose an alternate. Is there a way that we
18 could approach addressing that reality in our cost
19 estimates despite the understanding that every system and
20 site has specific different needs?

21 DR. ROBINSON: I don't know of a way to do that
22 at this point, but we're constantly trying to revise our
23 methodology in the reg. unit and develop these costs better
24 and more accurately, so as part of our comments, if anyone
25 has a better way of developing these costs estimates, we

1 would like to hear it.

2 MS. FIRESTONE: Great. Okay, great.

3 MS. NIEMEYER: If I could just add to that just
4 in terms of the nature of some of those other ways of
5 compliance, they're so site specific. You know, drilling a
6 new well for one system could be vastly different from the
7 costs of another system just because of the depth that they
8 have to go through. There's so many variables, whereas the
9 treatment we're able to much better understand what those
10 costs are.

11 MS. FIRESTONE: Yeah, it's definitely easier to
12 estimate, I understand that.

13 MS. NIEMEYER: Yeah.

14 MS. FIRESTONE: But it's also probably an over --
15 well, it is an overestimate and, so, it would be great to
16 hear public comments. You know, we're going to get public
17 comments on if there's ways that are feasible and more
18 realistic to get that, I'd be interested to hear what
19 stakeholders have ideas around.

20 And then another question is around the
21 assumption around treatment to nondetect versus treatment
22 to 80 percent of the MCL. So, obviously no matter what we
23 are going to be setting an MCL over the public health goal,
24 and, so, you want to be, you know, minimizing the amount of
25 exposure, and that's what we're called to do, but the MCL

1 that we're setting is a certain level, and I believe 80
2 percent we are using -- well, maybe you can comment just
3 to, again, on why we -- for the cost estimate we're
4 assuming it's just 80 percent and what the regulatory
5 expectations and building expectations are in terms of
6 operating, because my understanding is we want people to
7 operate treatment to be able to get as low as they can, but
8 then we're assuming that they're only going to treat to 80
9 percent.

10 DR. ROBINSON: Yeah, so, there's a couple
11 different -- like you said, a couple different ways to look
12 at this. When we're doing cost estimates, a lot of the 80
13 percent was looking at chemicals and how many chemicals
14 they needed to buy and things like that, so we wanted to
15 only look at what they were required to do. And while we
16 do require systems to treat as well as they can, they're
17 only required to treat to below the MCL, so, 9.9, you know,
18 right below the MCL.

19 MS. FIRESTONE: Okay.

20 DR. ROBINSON: And, so, we also size the capital
21 costs to -- the whole treatment system to be able to treat
22 to one microgram per liter. So, we wanted to kind of
23 balance the O&M and the capital cost because you can't go
24 back usually and build onto your equipment. You need to do
25 that first, and then going to a lower MCL would be easier

1 if you already had the capital equipment and then you just
2 need more chemicals.

3 MS. FIRESTONE: Okay. So, there's a little
4 inconsistency in how we're doing that for capital versus
5 O&M cost assumptions kind of to balance each other out?

6 DR. ROBINSON: Well, it wasn't really balancing.
7 It was the idea that if the MCL is reduced or if the system
8 wanted to treat to a lower value, then they would need
9 different capital equipment, and, so, to cut off that we
10 just wanted to have capital equipment be able to treat all
11 the way down.

12 MS. FIRESTONE: And then the regulatory
13 requirement, obviously, the MCL is set as the MCL, but is
14 there an actual enforceable requirement around treating to
15 the lowest possible way or amount that treatment plants can
16 be operated, or is that just a general like good practice?

17 DR. ROBINSON: I'm not aware of that requirement.
18 Someone else may be able to jump in. But I think it may
19 just be a best practice, yeah.

20 Also, treating to lower concentrations means
21 usually you need to switch out your media, which is usually
22 the most expensive part of treatment, depending on what
23 you're doing.

24 MS. FIRESTONE: Right.

25 DR. ROBINSON: And, so, it can substantially

1 increase those costs --

2 MS. FIRESTONE: Right, yeah, yeah. No, I mean I
3 understand. I'm not -- in terms of comments, I understand
4 why we're making those assumptions. I just wanted to make
5 sure I'm understanding it. So, these are just questions to
6 clarify it.

7 And then I think last -- yeah, lastly, one of
8 the things we talked about, and I know we just came up --
9 we just shared an errata change sheet, but one of the
10 things we have in our reasoning is around having enough
11 resources to help systems that are already struggling, and,
12 so a number of the systems on the list that have -- would
13 have to treat because of an MCL at 10 are already maybe at
14 failing or at risk.

15 And, so, I'm just wondering if we can -- we just
16 approved a SRF IUP for drinking water, and we have a fund
17 expenditure plan coming up for SAFER. Obviously there's a
18 lot of kind of reductions on federal and state level in
19 terms of money coming in, so, I'm just wondering if you can
20 share whether we still feel like we have the resources to
21 cover those systems that are already -- in terms of the
22 costs we've identified here, those systems that are already
23 failing and at risk to the same extent that we're
24 identifying in the reasoning here. Does that make sense?

25 MR. ESQUIVEL: That might be a question for the

1 division of financial assistance, but I don't know, Darrin,
2 if you want to step in.

3 MR. POLHEMUS: Darrin Polhemus, Deputy Director
4 for Division of Drinking Water. Excuse me.

5 So, for that question and for the context of what
6 we're doing here we really try to stay away from making any
7 kind of direct comparison between the regulations and
8 whether we have funding available. We do it -- because we
9 do have a lot of funding programs, they change all the
10 time. The IUPs can change, funding programs can change,
11 but I really hesitate to make a comparison of like this
12 regulation at this moment means, you know, we expect this
13 much funding to water systems.

14 So, in general, speaking as we stated in the
15 ISOR, we believe there's funding available at the current
16 moment, but as you know, that can change so rapidly.
17 Funding could increase, funding could decrease, and, so, we
18 really just present it as that opportunity presents itself,
19 but not try to do a deep analysis on whether it's there or
20 not.

21 So, sorry for the answer, but that's kind of how
22 we really have to face the regulations approaching this.

23 MS. FIRESTONE: Yeah. That's my understanding.
24 I just was -- it's helpful to clarify, so I appreciate it.

25 All right. Those are my questions, and I look

1 forward to public comment.

2 MS. NIEMEYER: I would just -- I did see the
3 section I was thinking about before in our Health and
4 Safety Code that talks about how we set out or go about
5 establishing our MCLs. It's 116365. When it talks about
6 the technological and economic feasibility, it has us look
7 -- it says, "For the purposes of determining economic
8 feasibility pursuant to this paragraph, the State Board
9 shall consider the cost of compliance to the public water
10 system's customers and other affected parties with the
11 proposed primary drinking water standard, including the
12 cost per customer and aggregate cost of compliance using
13 best available technologies."

14 So, that's why we focus on the best available
15 technologies, but it doesn't prohibit us from considering
16 other things, but that is why our analysis is focused on
17 what is the cost of compliance looking at those
18 technologies.

19 MR. ESQUIVEL: Thank you, Board Member, and thank
20 you for the responses.

21 Seeing no other comments or questions at this
22 moment, we can begin to get into our commenters. We have
23 about 38 individuals.

24 I want to start, as we always customarily do,
25 with any elected officials, and so, first let's start with

1 Oscar Ortiz, the Mayor of the City of Indio. And if there
2 are any other electives amongst our speakers here, please
3 do either on the platform, if you're on the Zoom platform,
4 raise your hand, or just come up after Mr. Ortiz speaks to
5 the podium, and please do it then identify yourself.

6 Mr. Ortiz, good afternoon.

7 MR. ORTIZ: Good afternoon. First of all, thank
8 you for your concern for the water quality for Californians
9 and thank you to Mr. Esquivel for taking some time to talk
10 with me earlier this week over the phone.

11 Today I would like to share with you my concerns
12 as a fellow scientist, as someone who is passionate about
13 public health and natural resources, and as a
14 representative for my city, my staff and my residents.

15 Our city has three wells currently being treated
16 for chromium-6 already. If the MCL would be set at 20
17 parts per billion, which is less than half of the current
18 MCL, all of our wells would pass and we would incur no
19 additional costs.

20 If the MCL is set at 10 parts per billion as
21 currently proposed, 13 of our wells will need additional
22 treatment at an estimated cost of 80 to 100 million
23 dollars.

24 Our staff's models show that this would require
25 an increase of 25 percent in the cost of water over the

1 next five years if this was implemented without any grant
2 funding or state assistance.

3 As things stand today, we have no guarantees that
4 this would not be the case for our residents. There are a
5 few bonds proposed for funding but nothing that has passed
6 through legislation.

7 We have the promising results of stannous
8 chloride as a more affordable treatment, but no state
9 approval for this technology.

10 I'm happy to say that our staff is well prepared
11 for whatever your choices on MCL. We have done our
12 studies, prepared a plan for implementation and are even
13 ready to start testing with stannous chloride at one of our
14 wells.

15 The questions I still have include the following.
16 First, how much health impact can we expect between 20
17 parts per billion and 10 parts per billion? And is that
18 impact worth a 100 million dollar investment from our
19 residents' pockets during times of economic uncertainty and
20 extreme instability in housing? And, actually, some of
21 those wells are barely at 12, 14, and, so, we would see a
22 very small change in the parts per billions there. Also,
23 100 million is equal to -- about equal to our general fund
24 budget for a whole year.

25 Second, if we do move forward, what funding will

1 be available to help ease the impacts on our residents,
2 especially those already struggling financially? And as
3 we've heard, we have no assurance in that.

4 Third, will stannous chloride be an acceptable
5 method of treatment because that would drastically change
6 our economic impacts of implementation and change our whole
7 strategy?

8 So, lastly, I would like to suggest that before
9 we are given a timeline for implementation and enforcement
10 we are given clear answers to these questions of public
11 health impacts, financial impacts and acceptable
12 treatments.

13 Thank you for your time.

14 MR. ESQUIVEL: Thank you, Mayor. Really
15 appreciate it.

16 Any other electeds that would like to speak?
17 Yes, sir.

18 MR. BOGUE: Good afternoon. Thom Bogue, Dixon
19 City Councilman.

20 Now, while the comments I make do not necessarily
21 represent those of the other council members because we
22 have not discussed what I would or would not say today, so,
23 I want to make that clear. These are my own comments.

24 First of all, when I looked at the figures that
25 they were giving of approximate value of \$8 per connection,

1 I'm like -- did the quick math on that. Just in our city
2 alone to treat our wells would be \$18,000,000 for six
3 wells. Okay, and I said, you know, over a five-year period
4 that's about right to do the installation. That does not
5 include the additional cost of maintenance and disposal.
6 The disposal is going to be incredibly expensive to get rid
7 of this. So, part of the cost analysis did not cover that,
8 or if it did, it's been misconstrued because it does not
9 represent the actual cost.

10 And, again, like the Mayor of Indio, my question
11 is, is what kind of benefit is it really going to be? What
12 scientific study has shown that there's actually going to
13 be a true health benefit going from 50 to two? And, oddly
14 enough, the comparison of one in 2,000 people over a 70-
15 year period may be impacted by the chromium-6, the federal
16 level of 100 parts per million. Now, I do not have the
17 exact figure they used, but the statement that we read from
18 that report is that in a 70-year period of drinking one
19 gallon of water per day from birth to the age of 70 a
20 person may be impacted. So, it doesn't sound like there's
21 much of a benefit on that level.

22 Number three, and this was a comparison I liked
23 to use when I was on a talk show about this. How many
24 people here feel arsenic and cyanide is a safe component to
25 consume? I mean most people just say, no, no level or

1 cyanide or arsenic is safe to consume. But as a
2 comparison, all your leafy vegetables and all your fruits
3 have both those components in it.

4 But, you see, our body is like a little miracle
5 machine. It can process a lot of these things as part of
6 our consumption and maybe even use some of them. So, the
7 question becomes, again, is where is there an analysis of
8 what the impact is over that time and period at that level?

9 I didn't write down the last point I was going to
10 make with this, but the bottom line is -- oh, that's what
11 it was. Now, they say that one in 2,000 should be impacted
12 within 70 years. Well, based upon our population of
13 California of 38,000,000 people, that means we should have
14 reported cases of 1,950 annually on average for people who
15 have been impacted by drinking chromium-6.

16 Well, I just did a quick research over the last
17 three years. I haven't seen any reported cases of people
18 impacted by it yet, outside of the ones that have gone
19 around factories and stuff that actually put out that type
20 of product as part of their processes, which, frankly, if
21 you're sticking your head in the chemical pond, I don't
22 know what to tell you.

23 So, the bottom line is, is I would like to see an
24 analysis of how many people have truly been impacted,
25 outside of the Brockovich case, that is related strictly to

1 the natural occurring foundation of our soils.

2 Thank you.

3 MR. ESQUIVEL: Thank you, Council Member.

4 Next, we'd like to start to get into our regular
5 commenters. I believe that is the only electives we have.
6 Looking quickly at the Zoom platform in case there's a hand
7 raised and there's not. So -- oh, there's an additional
8 one in the room. Yes, sir. Please do introduce yourself.

9 MR. WARD: Good afternoon, Chairman, Vice
10 Chairman and members of the Board. Thank you for being
11 here today and letting us speak today also.

12 My name is James Ward. I am the Dixon City
13 Treasurer, elected official, however, I'm here as a rate
14 payer and as a citizen today.

15 Yes, I do work in the municipality of the City of
16 Dixon. Our population is approximately 20,000 people. We
17 are in Solano County. We are one of nine Bay Area
18 counties. Probably have 102 municipalities included in
19 them nine counties.

20 Looking at the numbers and looking at the
21 inflation level today, the latest figures came out July 1st,
22 and we're about three percent inflation rate. However,
23 with the service industry such as your hotels, your
24 restaurants, we're about at 4.7 percent. We all like to
25 use hotels. We all like to use restaurants, but they use

1 water as well.

2 This undue financial hardship in my perspective
3 is just another possible State mandate program, and without
4 the State financial assistance is unacceptable. As you
5 heard, there's no guarantees.

6 I ask the Board at this time to reject any
7 proposals to implement or increase the levels of
8 chromium-6, and I thank you for your time.

9 MR. ESQUIVEL: Thank you for yours as well. Yes,
10 by all means, Board Member Firestone.

11 MS. FIRESTONE: Just a question following up on
12 the comments by the Mayor from Indio. Do we have -- can
13 staff just clarify for stannous chloride sort of timeline
14 and regulatory approval process for, say we adopt an MCL
15 and a system, trying to decide whether that's the way to go
16 versus a different way to go, how they would -- sort of
17 timeline on how they would have that certainty as to which
18 way they could go, because obviously that's a huge
19 difference in cost for a system and just understanding that
20 timeline.

21 MR. POLHEMUS: Sure. Darrin Polhemus, Deputy
22 Director Division Drinking Water. I'll try to answer that.

23 So, water systems that wanted to pursue stannous
24 chloride would need to do pilot studies in order to
25 determine that their water chemistry would be appropriate,

1 and it was talked about by Bethany -- Dr. Robinson in her
2 components of what's there.

3 Understanding that a large system obviously has
4 two years to complete and come into compliance, that could
5 pose some difficulties associated with their timeframes
6 associated with that, so they are going to have to make a
7 balance and determination between the times they have of
8 that and whether that makes the most sense for them as they
9 proceed forward. So, we generally work with them on the
10 pilot planning and make sure that it's expeditious as they
11 are going to go forward with that.

12 And a lot of systems have already done a lot of
13 work that they can bring back forward and, you know,
14 they're not starting from scratch with it. But it will
15 really depend on each system that wants to face it and
16 where they were out before, what they further need to do in
17 order to complete that.

18 MR. ESQUIVEL: Thank you, Board Member. Board
19 Member Maguire.

20 MR. MAGUIRE: Yes, thank you. I might as well
21 add a question while you're all here.

22 So, the commenter from Dixon mentioned a concern
23 that the disposal costs weren't incorporated into the
24 analysis. Can you speak to that, whether they were and, if
25 so, how they were included.

1 DR. ROBINSON: Yeah. So, disposal costs were
2 incorporated into the estimates. However, disposal is more
3 of a component of ion exchange, and most of the sources
4 ended up using RCF in the cost estimates. So, disposal
5 isn't -- I think there might be some disposal with RCF, but
6 it's not nearly as much as for ion exchange.

7 MR. MAGUIRE: And just on that, so, as I have
8 understood it, ion exchange has been the go-to for many
9 water systems that have already installed treatment for
10 hexavalent chromium. Do you see a shift as we go forward
11 here? I'm hearing now about stannous chloride, reduction
12 coagulation filtration. Do you see this trend towards
13 alternative, you know, moving away from ion exchange?

14 DR. ROBINSON: I think it's possible, especially
15 because RCF, which has been shown very promising, is
16 essentially stannous chloride with filtration afterward,
17 and that's what a lot of these costs were estimated off of.

18 MR. MAGUIRE: Thank you.

19 MR. ESQUIVEL: Appreciate the questions, Board
20 Member, and I think that hearing the points, of course,
21 from our colleagues from Dixon and also the Mayor of Indio
22 around localized analysis looking like costs are more than
23 what's broadly painted within the reg., we did our best to
24 do averages across systems, and, so, appreciate what is
25 site-specific concerns and information from our colleagues

1 from Dixon and Indio, so, thank you.

2 Let's get -- any additional elected officials in
3 the room or on the platform? Okay, great. Seeing none,
4 let's get to then regular order which here we're going to
5 take folks in order of comment requests received, and so,
6 I'd like to first call up Jared Voskuhl, followed by Tim
7 Worley, and then Norman Benson.

8 MR. VOSKUHL: Good afternoon, Board Members.
9 Jared Voskuhl on behalf of CASA, the California Association
10 of Sanitation Agencies. CASA represents over 130 public
11 wastewater agencies and municipalities that provide the
12 collection of wastewater treatment as well as the
13 collection of it, the treatment of it and the recovery of
14 resources, including recycled water and bio salts.

15 Just for today's question and comments, we want
16 to thank the Board for getting the MCL to this point in the
17 rulemaking process. We had specific comments during the
18 public outreach period. I think there were four mentioned
19 in the initial statement of reasons, one in May of 2020 as
20 well as another in April of 2022, which we provided
21 comments there describing the impacts of an MCL on
22 wastewater agencies in terms of costs, and then looking at
23 the ISOR and the cost impacts, wastewater treatment plants
24 were not considered.

25 And, so, I just wanted to inquire with staff

1 whether that was, you know, a deliberate exclusion or if
2 there was a rationale there.

3 And in terms of background as explained in those
4 comment letters, MCLs become water quality objectives at
5 the regional board level on basin plans, and those are
6 incorporated by reference, so then wastewater treatment
7 plants have to treat to those standards.

8 And, so, in this case the aquatic life beneficial
9 use is at 11 micrograms per liter but the MCL is at 10
10 micrograms per liter. So, prospectively facilities would
11 have to treat to lower it by one, but then if the MCL is
12 lowered beyond 10 and further, then they would have to
13 treat further, and so that's a cost impact.

14 I just wanted to identify and request for
15 clarification from staff about the intention there, and if
16 that's something that could be inserted maybe in a revised
17 ISOR the next round of document preparation.

18 MS. D'ADAMO: Did staff want to respond to that
19 or just wait? I sense an interest, but then hesitation.

20 MR. POLHEMUS: Yeah. So, I'll answer this
21 question again. The inclusion of MCLs in basin plans is
22 discretionary by the regional water boards. They have
23 included them by reference and they can just as well modify
24 them at a future date.

25 So, we do not include the costs associated with

1 wastewater in our determination. It's strictly focused on
2 drinking water components.

3 At a later time, a regional board will have to
4 contemplate what they want to do with our MCL and how that
5 impacts their basin plan and their findings associated with
6 that, and at that time they'll consider the costs
7 appropriately, so, directly it's not included in our
8 determination at this time.

9 MS. D'ADAMO: All right. Thank you, Mr.
10 Polhemus, and thank you, Mr. Voskuhl.

11 Next we --

12 MR. VOSKUHL: Just as a point of information,
13 from what I've heard from my member agencies is that in
14 permits MCLs are automatically incorporated by reference,
15 that they're not discretionary for element, so I don't want
16 to haggle over that point.

17 MR. OPPENHEIMER: So, can I -- you guys are
18 talking past each other, and I'll try and explain it is
19 that Darrin is correct, the inclusion of an MCL in a basin
20 plan is a discretionary action that the regional board
21 does.

22 Also, each permit has limits that are
23 discretionary, and so, it depends on how it was put in the
24 basin plan. If it was put in as a requirement for all
25 effluent limits, then they will be put in the permits in

1 that directly.

2 So, not all basin plans are worded the same way,
3 and they don't all have the same requirement. So, it's a
4 region-by-region basin plan by basin plan.

5 MR. VOSKUHL: I was under the understanding only
6 Region 8 had the nonautomatic incorporation by reference.

7 MR. ESQUIVEL: Yeah, we can continue to clarify
8 it, but yeah, we have 38 commenters. I want to make sure
9 we connect with people, too.

10 MR. VOSKUHL: Thank you for attending to the
11 point.

12 MR. ESQUIVEL: Yeah. Thank you, Mr. Voskuhl.
13 Next, I'd like to call up Tim Worley, who will be followed
14 by Norman Benson and then Joanne Le.

15 MR. WORLEY: Thank you. I am now unmuted. I
16 hope you're hearing me okay.

17 MR. ESQUIVEL: We can. Good afternoon.

18 MR. WORLEY: Good afternoon. Thank you, Chair
19 Esquivel and Board Members. I am Tim Worley, and among
20 other things, I serve as Managing Director of the Community
21 Water Systems Alliance for CWSA

22 I did request extra time, eight minutes, and I
23 will try and fly through this presentation as quickly as
24 possible.

25 CWSA is a project of CalMutuals, which is its

1 fiscal sponsor and in existence since 2019. Our founding
2 premise is large systems helping small and underserved or
3 disadvantaged community water systems, and our members
4 include regional agencies, water districts, cities and
5 mutuals ranging in size from small to large, geographically
6 ranging from the Coachella Valley to the Monterey Bay Area,
7 and several of our CWSA members will contend with naturally
8 occurring chrome-6.

9 Next slide. Oh, so the topics of our comments
10 are shown here. These will be further developed in our
11 written comments, but just to give you a sense of where
12 I'll be going.

13 Next slide.

14 So, I included this, even though you've already
15 heard twice about the Safe Drinking Water Act and its
16 requirements, I wanted to -- us all to remember the Human
17 Right to Water which notes that every human being, I'm
18 quoting, "every human being" would mean has a right to the
19 four adjectives set out here, safe, clean, affordable and
20 accessible water. This means wherever they reside, whether
21 they're in a system targeted for consolidation, whether
22 they rent or own, or whatever. Safe, clean, affordable and
23 accessible, we often hear some people seeming to emphasize
24 one of these more than the others, but the way that I read
25 the Human Right to Water, the Legislature seemed to give

1 all the words the same importance.

2 But as we know, in reality there are tradeoffs
3 between these terms, such as how safe water can be without
4 sacrificing affordability or accessibility.

5 Next slide.

6 We were skeptical of some things about the
7 economic feasibility white paper when it came out a couple
8 of years ago. It did say the Water Board would consider
9 multiple indicators which assess economic feasibility,
10 which we think is very sensible.

11 Ultimately, it left the question very open ended
12 without a bright line. It raised the issue of
13 affordability and recognized there is a robust recent
14 literature on the topic, but it left that discussion very
15 unclear.

16 So, not knowing how the Water Board would view
17 affordability in the context of regulating chrome-6, we
18 wanted an independent look.

19 CWSA contracted for that review with Janet
20 Clements and the One Water Econ team and Bob Raucher who
21 are leading experts on the issue of affordability metrics.
22 Their primary task was to look at the proposed regulation,
23 and accepting the MCL as the proposed level consider how
24 much funding would be needed from somewhere to have water
25 for every "human being" that is safe as well as affordable

1 and accessible for the Human Right to Water.

2 Next slide.

3 The white paper on economic feasibility referred
4 to a lively literature on measures of household water
5 affordability and a problem with using a percentage of
6 median household income as one of those metrics. But our
7 team applied what are arguably much better metrics shown
8 here. These are, one, the household burden indicator which
9 looks at basic water service costs, meaning combined water
10 and sewer as a percent of income for the lowest income
11 quintile. That's the lowest 20 percent of population by
12 income.

13 The second metric is called the poverty
14 prevalence indicator, which is the percentage of community
15 households at or below 200 percent of the federal poverty
16 level.

17 These two measurements were put into a matrix
18 that is described more in the written comments I will
19 submit.

20 The project team also adopted the State Board's
21 use of \$30 per month as an indicator of possible
22 affordability concerns.

23 Additionally, a low-income measure was applied
24 which is renters paying over half of their income on
25 housing, which represents a severe housing burden.

1 Next slide.

2 What were the results estimating the amount of
3 funding that would be needed to avoid pushing water into
4 unaffordable territory? The CWSA project team produced
5 results that are very close to the State Water Board's for
6 systems up to 5,000 service connections.

7 When you look at water systems over 5,000
8 connections, we see that much more funding would be needed
9 than what the ISOR estimates.

10 The total assistance annualized would be at
11 \$123,000,000.

12 Next slide.

13 So, this table puts the estimates side by side.
14 You can see that a more robust affordability analysis
15 points to a need for \$50,000,000 more financial support
16 than the corrected ISOR.

17 Taking this analysis and comparing to the total
18 available amount of \$823,000,000, chrome-6 would hog almost
19 15 percent of it all.

20 We believe that by using a more thorough analysis
21 with metrics that have been proposed to EPA by national
22 associations, those being AWWA, NACWA and WEF, the State
23 Water Board will have a more realistic picture of the
24 effect this regulation will have on the affordability of
25 water consistent with the Human Right to Water.

1 These comments have not even mentioned what Board
2 Member Firestone brought up, which looks ahead at likely
3 reductions in the funding available.

4 CWSA requests that the comment period be extended
5 at least two weeks, one additional week beyond what has
6 already been extended.

7 We would also offer to ask our Affordability
8 Review Team to workshop with Water Board staff on measuring
9 water affordability, although to be honest, I have not
10 cleared this idea with them.

11 Next slide.

12 I just want to quickly comment on a few other
13 areas we believe the regulation could do better in
14 evaluating.

15 As used in the Human Right to Water, accessible
16 can mean different things, but one aspect that may be
17 overlooked is the barriers small systems experience with
18 the alternative strategies for compliance. Whether they
19 pursue compliance through point of use, or point of entry
20 treatment, or consolidation, these are both fraught with
21 costs and uncertainty. They require studies. The process
22 can take a long time, although we did see that the state
23 auditor has asked for it to be speeded up.

24 Either approach may require upfront money or some
25 kind of bridge funding for studies and for infrastructure

1 improvements. The state audit also found problems with
2 technical assistance provided by the state, and the recent
3 survey CalMutual has done of its members indicates these
4 problems are not necessarily resolved.

5 These issues can make safe water inaccessible
6 regardless of how much money the State can point to.

7 Next slide.

8 The ISOR does recognize that chrome-6 is just one
9 of several regulations that will add to the compliance
10 burden water systems of all sizes will have.

11 This screenshot of the resolution the Board
12 adopted earlier this year leaves off a couple things on a
13 second page. It also leaves off rules that are being
14 developed for water efficiency, data reporting on drought
15 or things other than water quality and so on. It's a lot.
16 We have to wonder what straw will finally break the camel's
17 back.

18 Next slide.

19 I believe you'll hear from every water utility
20 and every water association that, one, they are very
21 thankful that the regulation includes a period to come into
22 compliance, but second, two to four years is not nearly
23 enough time. CWSA would say that five years is much more
24 realistic, and for small systems more time than that may
25 need to be permitted.

1 You will also hear from NGOs most likely that the
2 compliance period is too long. Keep in mind, they are not
3 necessarily in touch with the realities of planning,
4 designing, CEQA compliance, even expedited, public bidding
5 and construction with current supply chain issues.

6 I just recently heard from one water district
7 currently in construction of a treatment plant that the
8 time to get a steel tank is a full year after placing the
9 order.

10 Next slide.

11 We also have questions about the estimation of
12 treatment costs that assumed nearly universal selection of
13 RCF as the treatment method. The ISOR notes that ion
14 exchange has constraints. That's true, but we do wonder if
15 RCF is truly possible for 98 percent of systems. This is
16 kind of the flip side of Board Member Firestone's
17 presumption that cheaper alternatives will be available to
18 most systems. Undoubtedly, water systems will pursue
19 cheaper alternatives if possible, but the experience to
20 date, as Board Member Maguire noted, does not necessarily
21 support that presumption. The systems that I am aware of
22 are using ion exchange.

23 In a chart in Dr. Robinson's presentation, the
24 affected sources sum to 494, just doing some quick math on
25 the fly. That appears to be a change from the 501 in the

1 ISOR. So, it's not a big difference, but again, it seems
2 to be another moving target.

3 Next slide.

4 So, there is one statement in the ISOR I just
5 have to call out, and it's kind of a wonder to me that
6 someone didn't take it out before it was published because
7 of its potential to be taken out of context and mislead the
8 public. You can read it for yourself. The whole state is
9 not covering the cost of those customers of the affected
10 systems. So, I do find it hard to comprehend how an
11 obvious misuse of an average like this would remain in the
12 ISOR.

13 Another example of somewhat farfetched rhetoric
14 is the last bullet point. I just include these to say that
15 we would have expected a somewhat more objective
16 presentation without this kind of statement.

17 Next slide.

18 This really is my last comment. The data call-in
19 by OEHHA being just a few months ago, we don't know how
20 objective that review of the public health goal will be,
21 but we do know that a sizeable quantity of peer reviewed
22 published articles put a big question mark on the linear
23 dose response for both cancer and noncancer end points.

24 So, I just include this to suggest that the
25 regulatory process seems to be a little out of whack, and

1 I'll just leave that there.

2 Final slide.

3 I've probably taken more than the time I asked
4 for, and I apologize, but I do appreciate your indulgence.
5 Thank you very much for listening to our comments. Feel
6 free to contact me if there are any questions. Thank you.

7 MR. ESQUIVEL: Thank you, Mr. Worley. I
8 appreciate your comments.

9 Next, I'd like to call Norman Benson, to be
10 followed by Joanne Le.

11 MR. BENSON: Good afternoon. Thank you for
12 taking my comment.

13 I believe regulations must be a last resort and
14 fashioned using facts, not fables. Erin Brockovich is a
15 Hollywood movie, a fable, not a factual documentary. Masry
16 and Vitatoe's law clerk, Erin Brockovich sued the sockets
17 off PG&E via the Texas sharpshooter fallacy. By sheer
18 chance alone, people with specific diseases can be found
19 clustered near one another.

20 Chrome-6 is a natural substance that can be found
21 in rocks, volcanic dust and soil. This means it will be
22 found naturally in water and the food we eat.

23 Your white paper asserts that ingesting chromium-
24 6 at your proposed maximum contaminant level of 10 parts
25 per billion is so toxic that at that level the associated

1 cancer risk is one in 2,000.

2 Interestingly enough, chromium-6 is equivalent in
3 reference dose with a natural insecticide, caffeine. I do
4 not mean to say that caffeine or chromium-6 do not have
5 levels at which they are toxic. They do. Every substance,
6 no matter how toxic, has a level at which it is benign, and
7 every substance, no matter how benign, has a level at which
8 it is toxic.

9 Since caffeine is like chromium-6 in its
10 toxicity, what does the proposed MCL look like if applied
11 to a beverage like Coca Cola? A toddler would be allowed
12 one-fiftieth of one milliliter, one-third of a drop, of
13 Coca Cola per day. Any more than that would exceed the
14 proposed MCL of 10 parts per billion.

15 Under the current federal MCL, 100 parts per
16 billion, one-fifth of a milliliter, would be allowed.

17 Lo siento, but I have a hard time swallowing an
18 assertion that four drops of Coca Cola per day will damage
19 a toddler. And rather than assert, you should be able to
20 show that your current 50 part per billion MCL has produced
21 benefits above the federal standard such as fewer deaths,
22 fewer cancers.

23 Last point. Mandates are not magic. They're the
24 use of government force to create a societal change. The
25 proposed regulation will criminalize and punish people for

1 doing something that had previously been legal.

2 If the Water Board passes this regulation, I
3 believe it will accomplish three things. It will, one,
4 create more criminals; two, make people pay more for water,
5 and the third, make more public water systems provide
6 drinking water encased in plastic bottles that meet the
7 federal standard, not the state.

8 This proposed regulation is based on virtue-
9 signaling politics, not science. The federal law is bad;
10 this proposed regulation is a magnitude worse.

11 I thank the Water Board for taking my comment.

12 MR. ESQUIVEL: Thank you, Mr. Benson, for your
13 comments. Next, I'd like to call Joanne Le, to be followed
14 by Nick Blair. Good afternoon.

15 MS. LE: Can you see me and/or hear me?

16 MR. ESQUIVEL: We can. Good to see you.

17 MS. LE: Okay. Good afternoon, Chairman, and the
18 State Water Board members.

19 My name is Joanne Le, and I'm the Director of
20 Environmental Service for the Coachella Valley Water
21 District.

22 The District is a public agency responsible for
23 providing high quality water supply at reasonable costs to
24 our residents and businesses of approximately 270,000 in
25 population throughout most of the Coachella Valley. And

1 chrome-6 is naturally occurring in the minerals and
2 groundwater found here in our service area and groundwater
3 basin. About a third of our wells distribute it over a 50
4 square mile area exceeded the proposed MCL -- chromium-6
5 MCL.

6 And while we understand the importance of
7 adopting an MCL for the protection of public health, we
8 remain concerned with the following deficiencies as they
9 have not been adequately addressed as previously commented
10 by our agency.

11 So, first of all, the State Water Board cost
12 analysis of up to \$4.75 per person per year and conclude
13 that this is economically feasible. However, the cost of
14 this MCL will uniquely burden our system that serves
15 disadvantaged communities that has naturally occurring
16 chrome-6 as I mentioned earlier.

17 Secondly, the proposed compliance period of two
18 years for large water systems such as ours remains a
19 challenge.

20 The Federal Safe Drinking Water Act allows a
21 period of up to five years for water systems to install
22 capital facilities needed to comply with new federal
23 drinking water MCLs. So, we would urge you to consider
24 this compliance timeline as a base period by which water
25 systems should strive to comply with the proposed MCL as

1 the practicalities of planning, designing, funding,
2 permitting and installing new treatment facilities. And
3 flexibility should be granted depending on the progress
4 made.

5 And, lastly, I just wanted to point out that in
6 the last few years our agency has successfully piloted a
7 study of the addition of stannous chloride to reduce
8 chromium-6 concentration to that of well below the proposed
9 MCL granted without filtration. This treatment method, as
10 the Mayor of Indio pointed out, is the most cost-effective
11 option and can be employed immediately by our district
12 should we gain approval from DDW to launch a full-scale
13 implementation that is specific to our water systems.

14 We have submitted this plan to DDW earlier this
15 year in January, and we urge the State Water Board work
16 with staff to fast track the review and approval of our
17 plan for timely implementation to comply with the MCL
18 should the State Board remain firm on the proposed
19 compliance period of two years for large water systems like
20 ours.

21 That is all I have. Thanks so much for your
22 time.

23 MR. ESQUIVEL: Thank you for yours, Ms. Le.
24 Really appreciate the good comments and engagement around
25 this, even the research around stannous chloride to begin

1 with. Appreciate that leadership, and work, and feedback,
2 disagreement and otherwise, so, thank you.

3 Next, I'd like to call Nick Blair. Mr. Blair.

4 MR. BLAIR: Good afternoon, Chair Esquivel, Board
5 Members. My name is Nick Blair. I'm with ACWA,
6 Association of California Water Agencies. We represent
7 over 460 public water agencies throughout the state of
8 California. Thank you for the opportunity to speak today.

9 ACWA supports ensuring the safety of water
10 supplies to meet or exceed state and federal standards. We
11 really appreciate all the work that the staff has put into
12 this process so far, but with that being said, as numerous
13 other water systems have noted, we remain concerned with
14 potential impacts to public water systems that they will
15 potentially face in complying with the proposed MCL,
16 especially in light of the recently published errata
17 document.

18 So, we are hoping to see more work done to affirm
19 the economic feasibility of the proposed MCL. We continue
20 to have questions about capital cost considerations in
21 compliance which have already been raised, the effects that
22 disadvantaged communities and small systems throughout the
23 state will potentially have to shoulder, and the need to
24 continue to identify funding sources for these affected
25 systems. The published errata acknowledges where cost

1 estimates were understated, and as Tim noted, they may be
2 even higher than what the errata document states.

3 So, we also hope to see more analysis on the
4 proposed best available technologies and treatment methods,
5 namely, if RCF is cost feasible compared to ion exchange,
6 and also if POU, POE is affordable for small systems, and
7 then also consideration of some other alternatives like
8 stannous chloride.

9 We want to express appreciation for the added
10 compliance timelines, as has been noted already, but
11 similar to what others have said, we have concern that some
12 public water systems may be challenged even to meet what
13 has been laid out, so we want to continue to work towards
14 solutions such as what the federal guidelines layout for
15 water systems that are trying their best to be compliant.

16 So, with that being said, appreciate the time
17 today. We support the idea that more time is needed to
18 update analyses and accept comments, potentially another
19 week for the comment period. We will be submitting
20 comments by the deadline along with our coalition partners.
21 Happy to take any questions, otherwise, thank you.

22 MR. ESQUIVEL: Thank you, Mr. Blair. Appreciate
23 that.

24 And, you know, what I do want to make sure and
25 note is that as we adopt this MCL, this Board, or at least

1 myself, I'll just speak for myself, are very cognizant that
2 it doesn't live in an island, that it impacts affordability
3 that there are other MCLs.

4 The federal government is currently developing,
5 MCLs, even on PFAS, sooner than we are, too, so these
6 discussions are really important, and we are doing our best
7 to be incredibly sensitive.

8 Appreciate the good feedback we've heard, but
9 just didn't want it to kind of go unnoted that, you know,
10 the breakdown on how we need to be viewing affordability,
11 the complex ways in which not just meeting this MCL, but
12 having to meet state conservation budgets that this Board
13 will be adopting later this year, and/or other efforts I
14 think are really -- I just want to note that the complexity
15 of the issues that folks are faced are understood by this
16 Board, and we always strive to do better and want to
17 understand how we do to get it right here amongst it.

18 So, appreciate the comments we've heard so far
19 and look forward to further comment and to hear from
20 everybody.

21 Next I'd like to call up Maria Gonzalez, to be
22 followed by Kelli Hutton and then Oracio Gonzalez. Okay,
23 not able to be here, okay. The next I believe I have up on
24 my list, Kelli Hutton. You should be unmuted here any
25 second now, or at least invited to unmute.

1 MS. HUTTON: Hi - Can you hear me?

2 MR. ESQUIVEL: Yes, we can. Good afternoon.

3 Thanks for joining us.

4 MS. HUTTON: Thank you for having me. My name is
5 Kelli Hutton. My husband and myself bought our first home
6 in Moss Landing, California in August, a year ago. We
7 closed escrow on the same day our first child was born, and
8 living in a home with water that has been compromised due
9 to contaminants has been pretty stressful with a newborn
10 and a small child, and I just think that any kind of
11 regulations that can be tightened down for anything that
12 can cause harm to any living human or pet would be greatly
13 appreciated by all members of my community. Living with
14 compromised water is very stressful and I appreciate what
15 can be done to tighten up the allowable limits of chromium-
16 6 and any other contaminants.

17 Thank you.

18 MR. ESQUIVEL: Thank you, Ms. Hutton. I
19 appreciate your participation in joining us here and your
20 comments on this item.

21 Next, I'd like to call Oracio Gonzalez, who will
22 be followed by Trudi Hughes.

23 MR. GONZALEZ: Hi, Board Members. I'm Oracio
24 Gonzalez on behalf of the City of Coachella, a working
25 class community in eastern Coachella Valley.

1 We certainly want to thank you for the concerted
2 focus on wanting to make sure that all Californians have
3 access to safe drinking water. It is a goal that the City
4 certainly shares. But without providing communities like
5 Coachella, a small disadvantaged water system with the
6 viable predictable path for financing the cost of complying
7 with this MCL, it unfortunately ends up just setting these
8 communities up for failure.

9 In Coachella, like the other communities in the
10 Coachella Valley, we have naturally occurring chromium-6
11 that has been in our water since before the modern
12 Coachella Valley with all of its music festivals existed.

13 For the City, based on our analysis of the
14 proposed MCL, it would cost us about 36.2 million dollars
15 to build the treatment infrastructure to meet the standard.
16 Once passed on to our residents this would result in about
17 120 percent increase in average monthly bills. From an
18 affordability perspective this would actually push our
19 affordability index to 4.4 percent, almost three times
20 higher than the 1.5 percent MHI that the state uses to
21 gauge affordability.

22 For residents whose average income is about
23 \$35,000 a year, such an increase is not only unrealistic,
24 but it places the City in the untenable position of having
25 drinking water that most of its residents can't afford.

1 I'd be remiss if I didn't point out that we are
2 referring to a desert environment that often has, you know,
3 temperatures in excess of 120 degrees. The idea that our
4 residents couldn't afford drinking water really is a matter
5 of life and death.

6 As you finalize this regulation, we certainly
7 wanted to encourage you to continue to look to alternative
8 technologies like stannous chloride because those
9 technologies would dramatically change the cost picture for
10 the city of Coachella.

11 In addition, we really want to encourage you to
12 really drill down on the costs and providing that viable
13 path for communities like Coachella to be able to meet this
14 standard.

15 Thank you for your time. Appreciate it.

16 MR. ESQUIVEL: Thank you. Mr. Gonzalez, quick
17 question. I did want to just ask because we have had a
18 little discussion around this. When it comes to that cost
19 estimate, is that for ion exchange or --

20 MR. GONZALEZ: Yes, it is, ion exchange.

21 MR. ESQUIVEL: Thank you. Next, I'd like to call
22 up Trudi Hughes, who'll followed by Valentin Cornejo.

23 MS. HUGHES: Good afternoon. I'm Trudi Hughes.
24 I'm the President and CEO with the California League of
25 Food Producers.

1 Our organization represents food processing in
2 California. Our members can, dry and freeze fruits and
3 vegetables.

4 So, thanks for the opportunity to comment on the
5 proposed chrome-6 MCL.

6 As I testified in the past, my membership is an
7 unlikely regulated entity under the drinking water
8 standards. It offers a unique perspective in this
9 discussion. Many of our members have private wells and are
10 thus considered nontransient noncommunity water systems
11 making them subject to drinking water standards.

12 My members take compliance with these standards
13 very seriously as their water systems not only serve their
14 employees, but are also used in their plants to wash raw
15 food products, clean and sanitize food contact surfaces and
16 in and on final products.

17 The FDA requires that food processors meet all
18 drinking water standards.

19 The League has expressed concerns about this
20 proposed MCL over the last several years on a number of
21 fronts, primarily including the cost of compliance that
22 we've heard a lot about, and also the science used to
23 establish the MCL.

24 So, compliance with the proposed chrome-6 MCL
25 would be extremely expensive for my members, and I think

1 you've heard from the last speaker from Coachella Valley we
2 have naturally occurring chrome-6 here in the north state,
3 so the members that are most affected by it are in the
4 northern part of the Sacramento Valley, and Dixon, and
5 Williams, and some of the other areas up north.

6 And we're talking about cost of compliance into
7 the millions of dollars per plant, which is
8 catastrophically high for industries that operate on low
9 margins and is really under a lot of other cost pressures
10 and regulatory pressures as well.

11 This is really going to have an impact on food
12 prices and the ability for these folks to compete both with
13 other states and internationally.

14 So, while we absolutely agree that California
15 faces some very real water quality issues that deserve
16 immediate attention, we believe that this is -- that it is
17 critical that any new drinking water standards produce the
18 public health benefits that are worth the significant added
19 cost of implementation. And I completely agree with some
20 of the former speakers, particularly Mr. Ortiz with the
21 City of Indio and Mr. Bogue with Dixon.

22 I know that the Board staff has attempted to
23 tackle the economic feasibility issue, but to date there
24 hasn't been a robust analysis of the real cost and
25 implications to the regulated community in general and my

1 membership in particular.

2 We are also continuing to be very concerned about
3 the underlying sciences of establishing a MCL for chrome-6,
4 and I think so were the previous speakers. The chrome-6
5 public health -- excuse me, public health goal must be
6 based on the best available science.

7 And on March 27th of this year OEHHA announced
8 that it would be completing an update to the 2011 public
9 health goal for chrome-6 and providing interested parties
10 the opportunity to submit new scientific data. However, on
11 June 4 the State Water Board issued its proposed MCL
12 despite OEHHA's announcement.

13 So, I would strongly, strongly urge the Board to
14 pause and staff to consider holding this rulemaking process
15 until an updated public health goal is completed.

16 So, in conclusion I just have to reiterate that
17 it's imperative that we have an MCL that is based on sound
18 science and takes into consideration the cost implications
19 and the real world impact on the regulated community.

20 So, thank you very much for your time.
21 Appreciate it.

22 MR. ESQUIVEL: Thank you, Ms. Hughes. Next, I'll
23 like to call up Valentin Cornejo, who will be followed by
24 Jesus Calvillo.

25 MR. CORNEJO: (Speaking in Spanish, using the

1 services of interpreter)

2 From the community that I come from we still
3 don't have the drinking water yet. We just have our own
4 silos -- wells. We have 104 wells, and 90 percent of them
5 has got a high volume of chrome between 12 and 32. That's
6 why we come to represent our community so that we can have
7 clean water. We're here because the statute of the water
8 has not done the priority. Our health in our community we
9 live with a contamination that the Board has delayed in
10 establishing a regulation that will protect our health and
11 our families.

12 The contamination is nitrate, arsenic and chrome.
13 That's why we ask you to proceed as fast as you can because
14 we don't have clean water.

15 Thank you very much.

16 MR. ESQUIVEL: (Speaking in Spanish) Next, Jesus
17 Calvillo. (Speaking in Spanish)

18 MR. JONES: Chair, could I ask if we could have
19 staff provide translation for our --

20 MR. ESQUIVEL: Yes, of course.

21 MR. JONES: Thank you.

22 MR. ESQUIVEL: Thank you.

23 MR. CALVILLO: (Speaking in Spanish using
24 services of interpreter)

25 Good afternoon.

1 MR. ESQUIVEL: We'll get you another mike.

2 Sorry. One quick tech check.

3 INTERPRETER: Hello.

4 MR. ESQUIVEL: Okay. Thank you.

5 MR. CALVILLO: Good afternoon. My name is Jesus
6 Calvillo and I am from Royal Oaks.

7 We come talking about the same problem, that our
8 water has chrome-6 and more contaminants. Yes, and to
9 reiterate, we come for the same reason that --

10 INTERPRETER: Would you repeat.

11 MR. CALVILLO: Okay. We come asking for you to
12 provide safe, clean accessible drinking water for our
13 families and for our grandchildren, and that is why we're
14 here, and I would like to thank you. Thank you very much.

15 MR. ESQUIVEL: (Speaking in Spanish) Next I'd
16 like to call Becky Quintana.

17 MS. QUINTANA: Hello. My name is Rebecca
18 Quintana and I'm from Tulare County, and I'm a member of
19 the AGUA Coalition. We represent over 30 communities from
20 the Central Valley and the Central Coast, and I'm here on
21 behalf of my community, my family, my children and my
22 grandchildren, and also for all Californians.

23 My concern is with the level that they're trying
24 to set for the chrome-6, and that really concerns me
25 because in our community we've dealt with nitrates and

1 everything in the Central Valley, and it really -- I hear
2 you guys and people talking about money, money, money and
3 all of the finance. You know, you can't put value on life.
4 I mean there's no -- you can't compare money to a life. I
5 lost a daughter to cancer, and money shouldn't really be a
6 big thing. Life is more important than money in my eyes.
7 And I just hope that you guys take into consideration that
8 setting a good MCL level that will protect all humans,
9 children, parents, grandchildren, and I just hope you guys
10 put it into your heart that you guys will be protecting us
11 Californians and our families.

12 Thank you.

13 MR. ESQUIVEL: Thank you, Ms. Quintana. I
14 appreciate your participation, raising your voice here
15 today. Thank you.

16 Next I'd like to call up Jesus "Tutuy" Montes, to
17 be followed by Nydia Medina.

18 MR. MONTES: I am Tutuy from Visalia, California,
19 part of the AGUA coalition for some years. Some of you up
20 there know me, have saw me, been coming here for years.
21 Thank you for the work you do.

22 I've had to not only suffer with water issues for
23 some years, but I want to follow something that my
24 colleague -- women are sacred in my world, so is water, so
25 is life.

1 I had a statement that I wrote out, I have to do,
2 you know, but as I heard some of the other people talking,
3 I wrote down a couple of things.

4 Are we saving money or are we saving lives? The
5 power of a woman, that warrior woman, because she gives
6 life, brings that life into this world.

7 A lot of people, oh, the cost is going to go up.
8 I've heard in the past coffee, you know, how much does a
9 Starbucks cost? Some people, you know, they might go eat
10 at not just Burger King but Red Lobster, depending on your
11 income. Hear a lot about the money.

12 Human life put down, didn't matter.

13 I'm not going to read my statement other than to
14 say my brother is fighting cancer right now. We know that
15 there's a bunch of chemicals out there that cause cancer.
16 Somebody said, you know, something about I ain't going to
17 insult anybody here behind me. You're looking at the back
18 of my head or looking at the screen because you ain't
19 looking at my eyes or look at the back of my head. I'm
20 just saying in this issue are we going to look at people in
21 their eye or are we going to look at them at the back of
22 their head. They don't matter. They don't matter.

23 Earlier when we were -- when I was discussing
24 what I might say up here, you know, thank you, thank you
25 for the work that some of you have been doing to sit on

1 this board in the years that I've seen you here, the years
2 that you've been here. Appreciate that.

3 A lot of people that I send that message, it's
4 important that we come up here, that your voice does matter
5 back in my community, to be involved. Being a father,
6 grandfather, great grandfather, me working with men in my
7 community to being involved and take that initiative,
8 because I go to a lot of places, and guess what, women
9 always seem to be there more than the men. So, I work with
10 fathers. When I see some of these fathers suffer like I
11 suffer because they have to see, they can't do anything a
12 certain way because they think the government doesn't work
13 for them anymore. I just want to say that much about that,
14 otherwise I'll go on, and on, and on and want to take eight
15 minutes like somebody else, or take, you know.

16 But I speak from my heart, and I know that my
17 palabra, I know that my word and my words touch your
18 hearts. That's because that energy knowing that we can
19 love give way to all our relations, not just the human
20 relations, but the plants, the birds, those in the water,
21 all our relations, and water, one of our most important
22 relationships.

23 Thank you.

24 MR. ESQUIVEL: Thank you, Mr. Montes. Thank you
25 for bringing your voice here and your participation through

1 all this. Thank you.

2 Next I'd like to call up Nydia Medina, to be
3 followed by Raquel Sanchez.

4 MS. MEDINA: Good afternoon. My name is
5 Nydia Medina and I will tell you what I've had to
6 experience. This is my son Raul. He is
7 incapacitated. I come from the Orosi community.
8 And aside from me, there are communities on either
9 side where there exists arsenic, nitrate and
10 chrome-6. We've had it plenty of time. Chrome-6
11 has found us and it has been here for 10 years.
12 It's affected us. We ask you that you lower the
13 MCL at this moment. It is currently at 6. As a
14 mother, grandmother and great grandmother I ask
15 that this be done now so that more innocent people
16 will not continue to die of cancer and liver
17 problems. Do the work now and not in ten more
18 years. Please do not continue to lie to the State
19 of California. As members of the Water Boards you
20 are failing us. This is a voice that asks for --
21 this is a voice that asks for the Water Boards to
22 listen to them. And we thank you. God bless you
23 all.

24 BOARD CHAIR ESQUIVEL: Gracias Senora
25 Medina (speaking in Spanish).

1 Next, I'd like to call Raquel Sanchez y
2 luego Rosabel Bejar.

3 MS. SANCHEZ: (Through Interpreter) Good
4 afternoon Board members. My name is Raquel
5 Sanchez. I'm a member of the AGUA Coalition. And
6 I live in Tulare County.

7 I belong to -- I'm served by a public
8 water system. Our communities are farmworking
9 communities and hardworking communities. They live
10 with contaminated water, with nitrates, arsenic,
11 and chrome-6, as well as other contaminants that
12 cause sicknesses, serious illnesses. We've had
13 this problem for many years. We want a solution
14 and urgent support. We ask for your support in
15 lowering, changing the level of chromium-6. As our
16 children are the future of tomorrow and they'll be
17 the ones that are contaminated. Thank you.

18 BOARD CHAIR ESQUIVEL: Gracias Senora
19 Sanchez.

20 Next we have Rosabel Bejar and then
21 Yesenia Segovia.

22 MS. BEJAR: Good afternoon. Good
23 afternoon Board members. I urge you to support
24 safe and clean drinking water. I brought my child
25 here and urge you to protect the water so that she

1 doesn't suffer the consequences of contamination.

2 That's it. Okay, thank you.

3 BOARD CHAIR ESQUIVEL: Gracias Senora
4 Bejar, gracias.

5 Next we have Yesenia Segovia y luego Salma
6 Alatorre.

7 MS. SEGOVIA: Hello, my name is Yesenia
8 and I will be representing the Central Valley. I
9 would like to express my concern on the suggested
10 MCL for chromium-6. I believe that chrome-6 should
11 be significantly lower than suggested, than the
12 suggested 10 MCL.

13 The suggested 10 MCL is not enough to keep
14 us Californians safe from facing major health
15 issues in the future.

16 So, I ask if you could please lower the
17 MCL from 10 MCL just to anything lower, where we
18 won't be drastically affected. Just like past
19 colleagues that were just here, I feel that we
20 shouldn't be negotiating lives and money. I really
21 think that, if you guys could do better. Thank
22 you.

23 BOARD CHAIR ESQUIVEL: Thank you, Ms.
24 Segovia.

25 I'd next like to call up Salma Alatorre

1 and be followed by Uriel Saldivar and then Mayra
2 Hernandez.

3 MS. ALATORRE: Hi Board members. I'm
4 Salma Alatorre and I'm 15 years old. I'm from
5 Kettleman City. And every day I wake up and I
6 shower with chrome-6. Every day I wash my face
7 with chrome-6. I wake up in the morning before
8 school and I fill up this water bottle with water,
9 with little water bottles because chrome-6 cannot
10 be consumed by humans on a daily basis.

11 I come from a town that's faced a lot of
12 adversities with environmental justice, where our
13 water is contaminated, our air is contaminated,
14 soil is contaminated. And I ask that as Board
15 members, who are in charge of our lives, that you
16 lower the MCL level and you think about the
17 children that have to shower every day in this
18 contaminated water. With not only chrome-6, but
19 nitrates and arsenic. Since I was born I've been
20 living in contaminated areas where drinking water
21 is not accessible to me from the tap.

22 I wish that I could be like the people in
23 this room, who have reusable water bottles. And I
24 think to myself maybe they filled their water
25 bottles straight from the tap, which I've never

1 done before. And, hopefully, if you're able to
2 really listen to the community members that came to
3 talk to you today that you'll consider lowering the
4 MCL level.

5 In Kettleman City cancer isn't a fable,
6 it's a reality. And maybe one day, after all these
7 years of living in Kettleman City I will have
8 cancer and I will die. And scientists will cut
9 open my body and find that it was due to the
10 contamination in my town. Consider that when you
11 are deciding this. Thank you.

12 BOARD CHAIR ESQUIVEL: Thank you so much
13 Ms. Alatorre. I really appreciate your powerful
14 words and your engagement around this work. Thank
15 you.

16 Next I'd like to call Uriel Saldivar.

17 MR. SALDIVAR: Hello Water Board members.
18 My name is Uriel Saldivar and I'm here alongside
19 with the AGUA Coalition. I was born and raised in
20 Tulare County and most communities there have a
21 plague of many water issues ranging from nitrate
22 and arsenic contamination, and depleting water
23 levels, and so forth.

24 But today I'm here to talk to you about
25 chrome-6. Specifically because the proposed MCL of

1 10 parts per billion does not prioritize public
2 health.

3 We've been discussing chrome-6 and
4 accompanying MCL for over 20 years, I mean most of
5 my lifetime. When I was looking at some of the
6 original articles and it's crazy to think that
7 after all this time so little has been done
8 concretely. And this inaction is unacceptable.

9 But during that time we have been studying
10 the issue quite extensively and one of the things
11 that we know is that it's projected to, with this
12 proposed MCL of about 10 parts per billion, that
13 one in every 2,000 residents will develop cancer.

14 Now, acting back to the community right to
15 water and one of the presentations that was brought
16 forth earlier, and how the State Water Board is in
17 charge to further that, and along with every single
18 Water Board member. Quite frankly, an MCL that
19 allows and has that default of one in 2,000 does
20 not prioritize the public health and is not
21 furthering the community right to water.

22 However, the State Water Board can avoid
23 this grave injustice by prioritizing an MCL that
24 actually aligns with the science and protects the
25 public health. I was hearing earlier about

1 different comments about economic feasibility, and
2 the financing. And I mean I've worked alongside a
3 lot of these community members and they're also
4 working on the affordability aspect of this.

5 These are all different prongs of the
6 community right to water, access, affordability,
7 and quality, right. And I greatly appreciate the
8 work from the State Water Board on all of these
9 fronts, but one shouldn't be taking a backseat to
10 the other. And what does it mean to have an MCL if
11 it's going to be very easy to come into compliance.
12 It doesn't cost much, but it's not really
13 protecting or increasing the water quality.

14 I know that recently the State Water Board
15 have, along with many stakeholders on this call
16 today, and in this room, were able to push for
17 innovative, landmark pieces of programming for
18 affordability, like the Water Arrears Program
19 during the pandemic, or the 1.5 billion in drinking
20 infrastructure. These alignments can happen. We
21 can be creative and these conversations do not
22 preclude those types of partnerships.

23 But today the intentionality, I really
24 urge you to focus on the public health. And I know
25 that many folks here today are more than welcome to

1 further partnerships and having those conversations
2 to be creative, and ensuring that every single
3 Californian can have access to safe and affordable
4 drinking water.

5 With that, just thank you for your time
6 for being able to comment. And we welcome further
7 conversations because I know that every member of
8 the AGUA Coalition, and generally speaking from
9 folks that administer these different water
10 systems, they also prioritize those three things,
11 right.

12 But we strongly urge you to not have
13 public health take a step back today. So, thank
14 you.

15 BOARD CHAIR ESQUIVEL: Thank you, Mr.
16 Saldivar. Really appreciate the comments, and the
17 work, and engagement around everything.

18 Next I'd like to call Mayra Hernandez, who
19 will be followed by Maria Luisa Munoz.

20 MS. HERNANDEZ: Hello Chair, members of
21 the Board. My name is Mayra Hernandez and I'm a
22 community solutions advocate with Community Water
23 Center.

24 But today I want to share a personal story
25 and share why it is that I do the work that I do,

1 why I work with low-income communities, communities
2 of color that are impacted by contamination
3 throughout the State of California.

4 So, I was born and raised in Merced. I
5 lived in an unincorporated area on the outskirts of
6 Merced. And our water was provided to us by
7 Meadowbrook Water Company. And in 2008, I was 11
8 years old, we got a letter in the mail. It was all
9 in English. And so, my parents are monolingual
10 Spanish speakers. And so, at 11 years old I had to
11 translate what this letter said.

12 And basically what it said is the water is
13 contaminated with chrome-6. You shouldn't drink
14 it. Tried to convey that message to my parents and
15 my parents, and my parents are like chrome-6,
16 what's that? I don't know what that is. Just
17 ignore it.

18 And it goes to show that we need to make
19 sure that our communities have access to
20 information and resources in their language, right.

21 And so, basically, you know, chrome-6 was
22 really what got me started in environmental justice
23 and social justice. And, unfortunately, in my
24 community, this community is locally known as
25 Beachwood, and back in 2008 there was approximately

1 2,200 people in that community.

2 And, basically, we had about five or six
3 of our neighbors die of cancer. And again, we go
4 back to that one statistic that for every 2,000 one
5 person will get cancer. In my community, five to
6 six people obtained cancer and actually died.

7 So, there is communities -- or there are
8 communities where, you know, people are dying from,
9 you know, an array of things. We have air
10 pollution, water pollution, and we need to do the
11 best that we can do to make sure that we limit all
12 of these contaminants and exposure to these
13 contaminants, right. Because, okay, let's say we
14 leave it at ten but we still have arsenic, we have
15 nitrate, we have, you know, the runoff of
16 pesticides that are still carcinogens.

17 And so, basically -- and I'm getting a
18 little emotional because it's something that I'm
19 really passionate about, right.

20 And so, I think, you know, moving forward
21 it's a real thing and the communities that are most
22 affected are low-income communities, communities of
23 color that, realistically, no one really cares
24 about. Media doesn't cover it because there's
25 like, well, it's just one person that died in the

1 community with cancer. It's a farmworking
2 community, who's going to pay attention to that.
3 Right.

4 So, the communities are there, but no one
5 really knows about them. And I do because I go
6 door to door in multiple communities to learn about
7 what people know about their water, and work with
8 them to provide more information and resources, and
9 help them obtain interim and long-term solutions
10 for those issues.

11 And so, I currently work in the Central
12 Coast and I've talked to many people that have
13 chrome-6 in their water. They didn't know that
14 they had that before, and so we tested their well.
15 And their mothers and fathers died of cancer.

16 Is it directly related? We can't for sure
17 know, right. But what a coincidence, right?

18 So, I think I'm out of time, but thank
19 you.

20 BOARD CHAIR ESQUIVEL: Thank you, Ms.
21 Hernandez, appreciate the work, and advocacy, and
22 engagement around all this. Thank you.

23 Next I'd like to call up Maria Luisa
24 Munoz, who will be followed by Rob Spiegel.

25 MS. MUNOZ: (Through Interpreter)

1 BOARD CHAIR ESQUIVEL: Senora Munoz?

2 (Interpreter speaking Spanish)

3 MS. MUNOZ: Whatever we're doing is not
4 working.

5 BOARD CHAIR ESQUIVEL: Okay, gracias.

6 (Interpreter speaking Spanish)

7 MS. MUNOZ: And most of the Board members
8 are talking about the contaminants. If they can
9 come to the Central Valley and drink the water.
10 Yes, and I'd like to know if in the next meetings
11 you can have people that can interpret at the same
12 time as we are asking for the information as
13 leaders.

14 BOARD CHAIR ESQUIVEL: Si. (Speaking
15 Spanish)

16 I believe she's asking if we can make sure
17 that we have interpretation that's happening
18 simultaneously for folks. And I thought that's
19 what we were providing. And there may have been an
20 issue with some of the online interpretation or
21 translation, or no.

22 THE INTERPRETER: That's what we're
23 supposed to be doing, yes.

24 MS. MUNOZ: The leaders of the water in
25 the Central Valley when they talk to them and

1 they're interpreting, they're not saying stop or
2 good morning, or how are you. They're interpreting
3 at the very same time. And since 1:00 p.m., I'm
4 waiting to be able to talk and that's not
5 happening.

6 BOARD CHAIR ESQUIVEL: Okay, gracias,
7 Senora Munoz.

8 We'll go to then our next commenter, which
9 I think is Rob Spiegel.

10 INTERPRETER JIMENEZ: Chair Esquivel,
11 would it be possible that I just provide a brief
12 summary of what she said in her testimony.

13 BOARD CHAIR ESQUIVEL: Yeah, that's
14 helpful. Yeah, thank you.

15 INTERPRETER JIMENEZ: So, yes, I just want
16 to comment quickly for Maria Luisa to provide a
17 summary of what she had spoken on. And she invited
18 the Board members to go over to the Central Valley
19 and drink the water that was present there. She
20 also mentioned that she has to pay for bottled
21 water. And she is concerned that because of the
22 MCL that is being proposed that it's potentially
23 going to start an issue with cancer that will be
24 widespread across their communities. And she had a
25 request that as the work continue and as water

1 leaders come here to speak take their time. She's
2 been waiting since 1:00 p.m. She would like
3 simultaneous translation to be available so that as
4 she's speaking it's not having her to pause, having
5 her to wait, and having someone -- someone who can
6 speak and provide that information as she is saying
7 it real time. Uh-hum, thank you.

8 BOARD CHAIR ESQUIVEL: Thank you.
9 Gracias, Senora Munoz.

10 I'd next like to call Rob Spiegel, who
11 will be followed by Eileen Conneely.

12 Is Mr. Spiegel on the platform?

13 MR. SPIEGEL: Good afternoon and thank you
14 members. A little technical glitch on our end, but
15 all figured out.

16 So, as I said, good afternoon and thank
17 you, Rob Spiegel. I'm the Senior Policy Director
18 for the California Manufacturers and Technology
19 Association, or CMTA. And we very much appreciate
20 the opportunity to provide these public comments
21 for the proposed drinking water standard on
22 hexavalent chromium.

23 Before I begin I do also want to align and
24 agree with the comments that were shared by my
25 colleague, Trudi Hughes, representing the

1 California League of Food Producers.

2 So, for CMTA we have submitted individual
3 comments on the MCL and we have also joined with
4 other statewide businesses and industries as part
5 of a broader coalition effort.

6 And fundamentally, we find that the MCL
7 and the related ISOR lack the sufficient economic
8 considerations that are needed to ensure that this
9 MCL is economically feasible, but also affordable.

10 The errata that was released on July 31st,
11 which was just a mere 72 hours ago, illustrates the
12 concerns that we and the other stakeholders have
13 had relating to the staff determination that the
14 proposed MCL is somehow economically feasible.

15 The estimated numbers for the additional
16 demand on grant funding for compliance assistance,
17 which has now since been corrected, were off by a
18 factor of more than 10. So, for example, on page
19 61 of the ISOR it was concluded that approximately
20 \$6 million would cover compliance costs for about
21 135,000 affected households. This roughly
22 estimated to an average cost of about \$45 per
23 household, per year.

24 The errata revision now pegs total cost of
25 \$73 million per year for those affected households

1 and an average cost of \$526 per household, per
2 year.

3 If we want to amortize that over the 20-
4 year period that's assumed in this proposed MCL,
5 the additional demand on grant funding alone
6 amounts to an additional 1.5, almost \$1.5 billion.

7 So, this correction represents almost a 10
8 percent -- or almost 10 percent of all the grant
9 funding available in the last fiscal cycle just for
10 this one MCL. And even that conclusion is frankly
11 misleading because most of the grant funding
12 identified in the ISOR will be committed to other
13 projects that respond to the nearly \$15 billion in
14 needed costs identified through the Water Board's
15 2021 Drinking Water Needs Assessment just to meet
16 other additional drinking water standards, and to
17 improve infrastructure resiliency in the face of
18 climate change.

19 But this is also prior to the Board
20 issuing any new or revised MCLs for arsenic, PFOA,
21 PFOS, NDMA, styrene, cadmium, mercury, revisions to
22 the Federal Lead and Copper rule, 1,4-dioxane, and
23 any of the other USEPA proposals that are being set
24 to be prepared for other new drinking water
25 standards.

1 So, members, this is just one of the many
2 problems that we have identified with the economic
3 feasibility analysis in this ISOR that collectively
4 and substantially understate the economic impact of
5 the proposed MCL.

6 So, what we are asking for is that these
7 deficiencies should not only be corrected in a
8 revised analysis, but we'd like that revised
9 analysis to actually inform the selection of the
10 MCL so that we can reduce the number of
11 Californians who will struggle with drinking water
12 affordability as a result of this regulation.

13 Again members, thank you for your time,
14 appreciate the consideration. We're happy to
15 continue to be a collaborative partner and
16 stakeholder through this process. Thank you.

17 BOARD CHAIR ESQUIVEL: Thank you, Mr.
18 Spiegel, I appreciate the input, and contributions,
19 and continued discussion around the work. Thank
20 you.

21 Next I'd like to call up Eileen Conneely,
22 who will be followed by Trudi Hughes.

23 MS. CONNEELY: Thanks. You can hear me
24 now?

25 BOARD CHAIR ESQUIVEL: We can, thank you.

1 MS. CONNEELY: Yeah. Great, thank you.
2 Hi, my name is Eileen Conneely and I'm here on
3 behalf of the American Chemistry Council, and we
4 appreciate as well the opportunity to comment on
5 this proposed MCL.

6 I just want to note that according to the
7 Water Board's initial statement of reasons the
8 proposed MCLs based on OEHHA's 2011 Public Health
9 Goal for Noncancer and Cancer Effects, each of
10 which is based on outdated science and
11 methodologies.

12 As the Water Board's aware, OEHHA's
13 currently conducting a full review of the Public
14 Health Goal which could lead to a change in both
15 values.

16 The Water Board's decision to move forward
17 with the proposed MCL while the Public Health Goal
18 review is underway seems to presumptively assume
19 that the more than 40 research studies published
20 since the Public Health Goal was issued in 2011
21 have no bearing on the current Public Health Goal
22 values or the MCL.

23 We believe such a presumption undermines
24 the objectivity and scientific integrity of the MCL
25 development process.

1 The Noncancer Public Health Goal of 2
2 micrograms per liter was derived using outdated
3 risk assessment methodologies. Specifically, OEHHA
4 based the Public Health Goal values on points of
5 departure for tox end points in rodent studies
6 using no observable adverse effect levels, and
7 lowest observable adverse effect levels. These are
8 known as NOELs and LOAELs.

9 As opposed to the modern, and widely
10 accepted, and scientifically superior method of
11 benchmark dose modeling.

12 In addition, I just want to note that
13 OEHHA should be aware the modeling of the increase
14 of epithelial cells in small intestines in mice
15 that was conducted by USEPA in 2010 is incorrect,
16 and we'll discuss that in our written comments.

17 Finally, I want to note that the
18 physiologically based pharmacokinetic models, also
19 known as PBPK models, for hexavalent chromium have
20 been published since 2011 and they've been used by
21 several regulatory bodies, including USEPA and
22 Health Canada, to derive tox criteria for
23 hexavalent chromium.

24 The full use of these models has resulted
25 in tox values equating to 50 to 100 micrograms per

1 liter, which is similar to the current California
2 and EPA MCLs for total chrome.

3 Additionally, it's inappropriate to base
4 the proposed MCL on the cancer-based public health
5 goal of .02 micrograms per liter. The public
6 health goal was derived prior to the publication of
7 over 40 research studies informing the mode of
8 action for hexavalent chromium induced oral tumors
9 and PBPK models that support cancer slope factors
10 that begin within the lowest dose regions of
11 response and, thereby, better account for the low
12 dose kinetics of hexavalent chromium.

13 This approach is necessary to more
14 accurately characterize cancer risk to humans
15 exposed predominantly to low levels of naturally
16 occurring chromium.

17 Based on our review of the available
18 literature published after the 2011 Public Health
19 Goal, several regulatory agencies have concluded
20 that the data support a threshold nonmutagenic mode
21 of action for the tumors observed and the two-year
22 cancer bioassay from NTP from 2008. And that would
23 include the Food Safety Commission of Japan, Health
24 Canada, TCEQ, and the WHO.

25 These agencies have developed similar

1 reference dose and tolerable daily intake values
2 that result in drinking water concentrations
3 ranging from approximately 30 to 100 parts per
4 billion.

5 Additionally, several published articles
6 have demonstrated a lack of genotoxic response in
7 target tumor tissues following exposure to high
8 concentrations of hexavalent chromium in drinking
9 water, providing clear support for nonmutagenic
10 mode of action for hex chrome in the small
11 intestine.

12 So in conclusion, based on research
13 studies published after the 2011 Public Health
14 Goal, several regulatory agencies have proposed
15 safe drinking water levels protective of cancer and
16 noncancer effects ranging from 30 to 100 parts per
17 billion. These conclusions reached by other
18 agencies in the US and abroad provide clear
19 evidence that the available scientific data on
20 chromium-6 health effects has changed substantially
21 since the 2011 Public Health Goal was published.

22 As such, the Water Board should not
23 propose or adopt a new MCL for hexavalent chromium
24 until OEHHA updates both the cancer and noncancer
25 values for chromium-6.

1 Thank you so much for your attention.

2 BOARD CHAIR ESQUIVEL: Thank you, Ms.
3 Conneely.

4 Next, I'd like to -- Trudi Hughes was on
5 here twice, so Ms. Hughes I'll continue on.

6 We'll go on to Karina Cervantez, who will
7 be followed by Robert Solano, and then Bonnie Pond.

8 MS. CERVANTEZ: Good afternoon Chair
9 Esquivel and members of the Board. My name is
10 Karina Cervantez, with the California Association
11 of Mutual Water Companies.

12 Our association proudly works with over
13 350 mutual water companies, many among the smallest
14 water entities in the state, with 200 connections
15 or fewer.

16 We remain committed to supporting efforts
17 to help the state deliver on its promise that every
18 person has the right to clean, safe, and affordable
19 drinking water.

20 We urge the Water Board to continue to
21 ensure the overall health of our water systems by
22 providing the necessary technical assistance and
23 financial resources to support small water systems
24 in complying with the best available methods, not
25 necessarily the cheapest, and implement a financial

1 plan to support these systems that cannot afford
2 the recommended technology to meet the proposed
3 chromium-6 MCL.

4 As noted in the ISOR, many community water
5 systems will need an alternative to expensive
6 centralized treatment. Two methods that may have
7 considerable cost savings, particularly for small
8 public water systems, are point of use and point of
9 entry devices, and consolidation with nearby water
10 systems.

11 We all recognize consolidations are not
12 simple, fast, or easy to implement. Understanding
13 the best path forward to physical consolidation
14 requires costly studies and administrative
15 processes that can be difficult to implement,
16 especially for small systems. And rarely do we see
17 from start to completion any consolidation that
18 would fit within the two- to four-year timeframe
19 for the compliance outlined here today.

20 We do appreciate the recent efforts to
21 look critically at the point of use and point of
22 entry devices, and the benefits and challenges of
23 their use, including the difficulty in engaging
24 customers and homeowners, limited certifications
25 for some of the contaminants of concern, and the

1 lack of resources to install and maintain these
2 devices.

3 Small systems wishing to pursue this
4 option still have outstanding questions regarding
5 their long term use, gaining household access, and
6 liability concerns.

7 We respectfully ask for a reconsideration
8 of the given timeframe of two to four years to
9 achieve compliance, taking into account the
10 potential administrative, financial, and
11 operational challenges that consolidation, and
12 point of use, and point of entry may introduce for
13 smaller systems.

14 And with the recent updates on the
15 estimated household costs we join others in
16 requesting that the State Water Board extend the
17 comment period on the proposed MCL by an additional
18 30 days. This will allow impacted systems the
19 opportunity to reevaluate the economic feasibility
20 of compliance.

21 Again we thank you so much for the
22 opportunity to comment today.

23 BOARD CHAIR ESQUIVEL: Thank you, Ms.
24 Cervantez.

25 I don't believe Robert Solano or Bonnie

1 Pond, and I have Evangeline --

2 (Off-mic conversation)

3 BOARD CHAIR ESQUIVEL: Okay. I will then
4 -- we'll go to Robert Solano.

5 (Off-mic conversation)

6 UNIDENTIFIED SPEAKER: Hi. I'm sorry,
7 Robert Solano wasn't able to make it.

8 BOARD CHAIR ESQUIVEL: Okay, no problem.
9 Did you want to provide any other comment, though?
10 I just want to provide the opportunity now.

11 Okay, then we'll go on and I believe next
12 we have Bonnie Pond.

13 UNIDENTIFIED SPEAKER: Sorry, again she
14 wasn't able to make it.

15 BOARD CHAIR ESQUIVEL: Okay. And then we
16 have then listed Evangelina Marujo.

17 MS. MARUJO: Hello? Mi nombre --

18 BOARD CHAIR ESQUIVEL: Yeah, I think we're
19 trying to unmute them again at this point.

20 We'll circle back with Ms. Marujo. And I
21 believe -- yeah. Okay, then we'll next go to
22 Yasmeen Nubani.

23 MS. NUBANI: Hi, good afternoon. Can you
24 hear me?

25 BOARD CHAIR ESQUIVEL: We can. Good

1 afternoon. Thanks for the patience.

2 MS. NUBANI: Thank you for the opportunity
3 to make comments to the Board. My name is Yasmeen
4 Nubani. I am commenting on behalf of Twentynine
5 Palms Water District.

6 For context, they're a special district
7 located in the California high desert area. These
8 are about 18,000 residents, a hundred percent of
9 which are classified as a disadvantaged community.
10 Further, 75 percent of those people are classified
11 as severely disadvantaged, which makes the cost of
12 water a constant concern for our district.

13 We have only one source of water, which is
14 groundwater from a basin, a groundwater basin. And
15 we currently treat naturally occurring arsenic and
16 fluoride from our wells.

17 We have gained national recognition for
18 our treatment plant that utilizes regenerable
19 materials to keep the cost rate low for our
20 customers.

21 However, our paramount concern lies with
22 the affordability and economic feasibility of
23 treating hexavalent chromium. We have the one well
24 that would be out of compliance with the proposed
25 MCL. It is currently testing at about 16 parts per

1 billion. And that well serves a portion of our
2 service area that does not have an easily available
3 alternative supply of water and it's too far away
4 from our existing treatment plant to be able to
5 stack treatment.

6 Additionally, that well has had a \$1
7 million investment in the past three years to
8 redrill and reinforce the well's reliability
9 already.

10 So, the cost of treating this well or in
11 the alternate case shutting down the well and
12 securing a new water source may well exceed the
13 prior investment and feasibility of the district to
14 do so, which will result in high stranded cost for
15 our district.

16 Additionally, we are concerned about the
17 environmental impacts of residual disposal and the
18 subsequent greenhouse gases that will be released
19 from having to conduct treatment and haul those
20 residuals away to another state.

21 We live in a desert community that not
22 only champions water conservation, but cares really
23 deeply for our surrounding environment,
24 particularly being in very close proximity to
25 Joshua Tree National Park.

1 We understand and appreciate the efforts
2 the Division of Drinking has put into attempting to
3 quantify the complexities of the proposed MCL
4 affordability. However, in light of the recent
5 errors in calculating the average cost of treatment
6 per household, we do ask that DDW further extend
7 the comment period to an additional 30 days, as
8 many of our colleagues have done before myself, on
9 the proposed MCL.

10 And to also take another look at
11 evaluating the cost impacts that will follow after
12 adoption of the MCL.

13 We do feel that the current calculations
14 may not accurately reflect the burdens that will be
15 placed on our community and are really concerned
16 that there might not be enough support provided to
17 address them.

18 We believe it's crucial to strike a
19 balance between ensuring water quality and the
20 affordability of water for small and economically
21 vulnerable communities like ours.

22 Thank you very much for your time and
23 consideration of my comments.

24 BOARD CHAIR ESQUIVEL: Thank you, Ms.
25 Nubani. I appreciate your patience here. I know

1 we've had some technical challenges and we've gone
2 a bit long here, but I really appreciate the good
3 input and the engagement around the discussion.
4 Thank you.

5 Next I believe we'll go to folks here in
6 the room. Although, do you know other -- Mr. Prado
7 and others, I see you on the list here, so we'll be
8 going back to our virtual commenters here as well.

9 But here in the room, let's go to Kyle
10 Jones, who will be followed by Edmund Fitzgerald
11 and then Andrea Abergel.

12 MR. JONES: Good afternoon Chair and Board
13 members, Kyle Jones. I'm the Policy and Legal
14 Director with Community Water Center and also
15 representing the AGUA Coalition today.

16 And so, just as a way of background we are
17 an NGO that has also served as a TA provider,
18 providing technical assistance for consolidations,
19 and supporting drinking water solutions in the
20 Central Coast and the Central Valley. And I,
21 personally, am a CEQA attorney.

22 And so, I understand, along with our
23 members, our staff, and the members of the AGUA
24 Coalition just how long and hard it takes to get
25 drinking water solutions going.

1 But we also recognize it's critically
2 important that we do the best we can to make sure
3 that we're providing safe water that is drinkable
4 for all. And unfortunately, with an MCL at 10 we
5 think we're aiming too high and we're just going to
6 leave too many communities out, or too many
7 communities who are having to treat to levels that
8 are not really safe and we're going to be telling
9 their water is safe.

10 We reject the idea that we have to choose
11 between safe or affordable drinking water. In a
12 state as resourced as California we can do both.
13 And I know in so many other programs we talk about
14 how we can try to do better for communities.

15 And I think, unfortunately, just the way
16 we do things sometimes where we silo approaches,
17 and don't take into an analysis holistically, we
18 leave out options that otherwise should point to
19 conclusions that we could do better.

20 I think in this case, you know, I want to
21 remind the Board about the MCL statute and what it
22 says, and how it's been interpreted. And that the
23 Board has to set the MCL as close as economically
24 and technologically feasible to the public health
25 goal. And that has been interpreted by the courts

1 as meaning as capable of being done.

2 And so, if there is a lower MCL that is
3 capable, the Board has no discretion to set an MCL
4 higher.

5 Here we're really concerned with how the
6 Board has conducted its analysis. And I think
7 staff has done a great job of insulating and
8 justifying how an MCL of 10, it shouldn't be any
9 higher than that. And they've definitely done a
10 lot of work showing that 10 is defensible.

11 But we don't think there's been enough
12 work to show that something other than 10, a lower
13 MCL is also capable of being done.

14 When I looked at the SRIA, we note that
15 what the Board did was just look at costs for
16 avoided cancer, and note that it got higher with
17 lower levels, including up to \$40 million for
18 avoided cancer.

19 I just think that that's a hard thing to
20 tell people, that people have loved ones, who have
21 had family members impacted, that \$40 million is
22 just too high for their life.

23 I would also just note that, as we've
24 noted today, the economic analysis is just
25 absolutely conservative. It's necessarily untrue

1 in the sense that it is going to be way higher than
2 what's going to be happening in reality.

3 We know that for most systems centralized
4 treatment is not going to be the way to go. It's
5 going to be consolidation. It's going to be
6 finding a new source, drilling a new well, getting
7 an intertie and purchasing water.

8 And instead, we just assume the highest
9 cost possible and then say, oh, it's too expensive
10 to go any lower and to protect more people.

11 We know there's other things that could
12 have been factored in. What systems are within
13 three miles of somebody with safe water? Where are
14 places near other sources?

15 And we feel like in the past six years we
16 could have done some of the work to come up with
17 more assumptions that would support a lower MCL.

18 We also think there's a lot of benefits
19 that are not being calculated. The SRIA notes that
20 some folks are spending 50 to 100 dollars a month
21 on bottled water, which is far more than the cost
22 per household in some of this MCL. But we're not
23 factoring in any of those savings.

24 We know that we have resources out here
25 that there's financial assistance could be provided

1 to pay for centralized treatment. We know that
2 although it's only proposed to be 30 systems now,
3 that operations and maintenance costs for some of
4 these really expensive systems are proposed to be
5 funded.

6 So, we urge the Board to look back and
7 look at this MCL, listen to the residents out there
8 who are concerned about their water being unsafe,
9 and redo the analysis to take all these things into
10 consideration, as is required by the Human Right to
11 Water. And come up with a better result for all
12 Californians.

13 Thank you.

14 BOARD CHAIR ESQUIVEL: Thank you Mr.
15 Jones, appreciate the comments.

16 Next I'd like to call up Edmund
17 Fitzgerald, who will be followed by Andrea Abergel,
18 and then Andria Ventura.

19 MR. FITZGERALD: Yes. I think we're
20 looking at this in the wrong way. This should not
21 be an emotional decision. It needs to be very
22 logical. I really appreciate the comments from
23 Eileen Conneely, who talked about the science. I
24 don't think that we've adequately looked at the
25 science.

1 I have a document here, a press release
2 from the American Chemistry Council, that says
3 there were 30 studies, peer-reviewed studies that
4 show no basis for these reductions in chromium
5 levels.

6 Frankly, I'd like to know why the U.S.
7 federal government, if this is a problem is still
8 at 100 parts per billion. If it was really a
9 problem, you'd think that they would take action.
10 Don't they care about the people of the United
11 States?

12 And California is the only one that
13 reduced it to 50 parts per billion. There has been
14 no substantiation at any of these levels. I have
15 not seen a study yet that shows what the results
16 were at one part or all the way up to 45 that your
17 staff supposedly reviewed. That's problematic.

18 The other thing that I have is that the
19 paper on the economic feasibility, I didn't even
20 see it. To begin with, I was going to ask where it
21 was.

22 I also have here a Superior Court decision
23 and in it, contrary to what your staff is saying,
24 it says that -- if I can get to the right page.
25 Here we go, the costs are at -- the bills are

1 estimated to go up by \$5,630 per year, or \$469.17
2 per month.

3 This is what the judge is saying, and he
4 says: No. This number is the department's own
5 estimate. So, how the hell can you tell me it's
6 only going to go up \$4, when your own department
7 has these much higher figures?

8 The feasibility, just based on that alone
9 brings into question any decision made without
10 actually having scientific evidence that we're
11 going to see any benefit at all for reducing this
12 down to 10 parts per billion.

13 I would tell you the easiest, quickest way
14 to solve all this, if you really want to do it,
15 drop it to 30 parts per billion and be done with
16 it. Your litigation goes away, all of this goes
17 away. You bring it back in at 10 parts per
18 billion, you haven't changed a damn thing, and
19 you've haven't justified anything. And it's going
20 back into litigation. And here we go again, it's
21 going to be another two or three years down the
22 road.

23 The other thing I found while I was
24 researching chromium-6, or chromium in itself, is
25 that it's a trace element needed by the human body

1 for insulin uptake. So, are we going to ban
2 vitamins now? Because chromium can be changed to
3 trivalent chromium, or chromium-6.

4 And I'd like to know why we're basing any
5 of this on a historical thing of dumping waste done
6 by PG&E years ago, which is the Erin Brockovich
7 scenario. Yeah, there was a problem there. But
8 that was industrial waste, a concentrated waste.

9 This is highly dispersed. And this is
10 total chromium we're looking at. I want to see
11 exactly what the causes are for -- excuse me, I'm
12 running a little bit over -- for just the chromium-
13 6.

14 And I think I've already given you my
15 conclusions. Oh, as far as the costs go, in the
16 City of Dixon we're setting aside \$18 million to
17 treat five wells. So, don't tell me it's only
18 going to cost a certain amount.

19 And the other estimates there, engineering
20 department about \$130,000. Our engineer is a lot
21 more expensive than that. And the study, the
22 study's going to be a lot more than what you're
23 estimating.

24 All of these costs are highly, not
25 conservative, but highly liberalized to get past

1 the indoctrination point that we really need to do
2 this. I don't see that. Thank you.

3 BOARD CHAIR ESQUIVEL: Thank you, Mr.
4 Fitzgerald.

5 Next I'd like to call Andrea Abergel.
6 Andrea Abergel and then Andria Ventura.

7 MS. ABERGEL: Hi, good afternoon. It's
8 fun when there's two with the same name, different
9 pronunciation.

10 But good afternoon Chair and Board
11 members. Andrea Abergel with the California
12 Municipal Utilities Association. We appreciate the
13 opportunity to provide oral comments on the
14 proposed Hexavalent Chromium MCL today.

15 CMUA represents over 50 public water
16 agencies that serve water to over 75 percent of
17 Californians. We are submitting written comments,
18 along with ACWA and others, so the comments I'm
19 making today are going to be included in that
20 letter, but just to emphasize a few points.

21 I know this rulemaking has been a long
22 time coming and we're all eager to cross the finish
23 line here. However, we cannot cut corners or make
24 decisions without thinking through the possible
25 consequences of those decisions.

1 The errata released this week raises
2 concerns and more questions about other cost
3 estimates or assumptions. What is apparent is that
4 the initial numbers were very off. These changes
5 necessitate more time to review.

6 We acknowledge that the written comment
7 deadline has been pushed back a week, to August
8 11th, but we request that staff extend that comment
9 period by at least an additional week, or longer.

10 We support the fellow associations and
11 other water industry representatives' requests for
12 additional time to review.

13 Our public water system members are
14 primarily concerned about the proposed compliance
15 timeline. The proposed two- to four-year
16 compliance period presents challenges for public
17 water systems to seeking to install best available
18 technologies, or to pursue alternatives.

19 The realities of planning, designing,
20 funding, installing and permitting new capital
21 facilities needs to be considered and the
22 flexibility to do so needs to be provided.

23 The Federal Safe Drinking Water Act allows
24 a period of up to five years for public water
25 systems to install capital facilities to comply

1 with the federal MCLs.

2 So, we urge the State Water Board to
3 extend the compliance period to mirror the federal
4 compliance allowance.

5 Along with additional time to comply,
6 additional funding directed to all public water
7 systems is necessary. I know other commenters have
8 highlighted the estimated costs and importance of
9 funding, so I'm just going to ditto those and move
10 on.

11 But beyond the compliance timeline and
12 funding, our members would like further
13 clarification of the treatment methods that will be
14 accepted to reach compliance. We encourage the
15 Water Board to embed flexible methods for public
16 water systems to choose which technologies or
17 combination of treatment work best for their
18 agencies, both financially and physically.

19 Lastly, we've made prior comments
20 throughout the public process over the past couple
21 years regarding the economic feasibility assessment
22 that have not been addressed. We're concerned that
23 ISOR doesn't fully capture the cost of compliance,
24 especially the capital cost, and the household cost
25 increases for households that are served by small

1 public water systems.

2 We request that staff add the estimated
3 capital costs to figures or clearly identify where
4 those capital costs were already considered.

5 Additionally, we believe that the ISOR
6 should more clearly depict the reality of cost
7 increases for affected households.

8 The errata changed the estimated monthly
9 costs for households from tens of dollars to
10 hundreds of dollars, and up to over a thousand
11 dollars for small systems.

12 The reality of compliance costs really
13 needs to be considered here.

14 Thank you again for the opportunity to
15 speak today. We hope that staff considers our
16 comments and the written comments that we're going
17 to submit, and revises the rulemaking accordingly.
18 Thank you.

19 BOARD CHAIR ESQUIVEL: Ms. Abergel --

20 BOARD MEMBER FIRESTONE: Can I ask a
21 question?

22 BOARD CHAIR ESQUIVEL: Yes, please, Board
23 Member Firestone.

24 BOARD MEMBER FIRESTONE: Just following up
25 on that. Just can staff comment? My understanding

1 is that the -- I think we're all really frustrated,
2 including I know staff that worked really hard on
3 this, that we had the problems that required us to
4 issue the errata and changes. And so, understand
5 everyone I think involved is frustrated by that.

6 But my understanding is it's not that the
7 costs, the overall -- it's not that the costs and
8 tables were wrong, it was that we had some text
9 that summarized that for certain parts that
10 summarized that incorrectly.

11 But I don't think the costs were
12 underestimated in terms of the core of what we
13 relied on in the analysis.

14 And I just -- can you just clarify that?
15 Because to me there's a big difference, and you
16 know, in a couple paragraphs and the reasoning we
17 included really much lower numbers than is the
18 reality that was included in all of the analysis,
19 and the tables, and the rest of the document.

20 MS. ROBINSON: Yeah, you're exactly right.
21 So, the costs that are in the cost tables did not
22 change. But when we summarized one of those costs,
23 we had a calculation error that was propagated
24 through the text.

25 MS. NIEMEYER: And just to clarify, it was

1 that we put -- the text said annual, but we had put
2 the monthly.

3 MS. ROBINSON: Right.

4 MS. NIEMEYER: And so, but the numbers
5 were essentially the same. We didn't have an error
6 that --

7 BOARD MEMBER FIRESTONE: Right. Yeah,
8 that's what I understand. I just wanted to clarify
9 that. Okay, thanks.

10 BOARD CHAIR ESQUIVEL: Yeah, I appreciate
11 that, Board Member. It is in -- you know, the
12 changes here aren't, you know, ones that would take
13 a month to really absorb and understand, and so I
14 appreciate that.

15 Next I'd like to call up Andria Ventura.

16 MS. VENTURA: Thank you. Again, my name
17 is Andria Ventura. I am the Policy Director for
18 Clean Water Action and I'm here on behalf of our
19 organization and the tens of thousands of members
20 across California.

21 And this is going to be difficult for me
22 because I have been working on this MCL, on behalf
23 of Clean Water Action and our members, longer than
24 this young woman has been alive, at least 15 years.

25 And I have to say that while Clean Water

1 Action has always respected and continues to
2 respect this Board, and the Division of Drinking
3 Water, and many of our really great water systems
4 throughout the state, and we prefer to work with
5 you, we have to -- our first loyalty is to speak
6 the truth for our communities.

7 And so, I have to say that after six years
8 of waiting for a new MCL we see this proposal of 10
9 parts per billion as very disheartening. We see it
10 as an insult to the people of the State of
11 California who are affected by hexavalent chromium
12 and to the human right to water.

13 We see it as a give, maybe not on purpose,
14 but we see it as a give to polluters and the
15 recalcitrant water systems who are dragging their
16 feet on this, and an embarrassment to the
17 administration.

18 I was going to spend a lot of my time here
19 talking about where we saw the ISOR not really
20 answering why this has to be as high as it is, but
21 Mr. Jones actually spoke to much of that. So, I
22 want to respond to some of the things I've heard
23 today.

24 First of all, let's remember a couple of
25 truths. First of all, yes, we've heard that

1 sometimes hexavalent chromium is natural. So is
2 lead, so is mercury, so is cadmium. That doesn't
3 change the toxicity.

4 We also have to remember something else
5 here. Setting an MCL and where you set it is not
6 just about getting treated water down to a safe
7 level. That is obviously part of it. It is also
8 where you cut off who's getting treatment and who
9 isn't.

10 And at 10 parts per billion, we believe
11 millions of people who have hexavalent chromium in
12 their water, drinking unsafe levels. I'm one of
13 them.

14 We wonder why it took six years to just
15 come back with the same MCL we had years ago. And
16 the argument that we needed to, you know, make sure
17 that we would win the next court case really
18 doesn't hold water for us because, you know, we won
19 the TCP -- well, I shouldn't say we. The Division
20 of Drinking Water won that case. We know how to do
21 economic analyses. And I would agree with Mr.
22 Jones who said, you know, there is good
23 documentation why this shouldn't be higher than 10.
24 We think that DDW did a very good job on that and
25 we appreciate that.

1 But there are biases in this conservative
2 approach. First of all, I'm sorry, I keep saying
3 this and I've been saying it for 15 years, but
4 drinking water systems have had 20 years to protect
5 this. We are out of compliance with state law
6 today because we were supposed to have a drinking
7 water standard in 2004.

8 You know, 20 years is a long time to
9 prepare for the inevitable. And, you know, while
10 that gets ignored and not part of the calculus
11 here, communities that are impacted know about that
12 delay. They also know that we're still hearing
13 that, oh, we need more time, we need more time.
14 Twenty years is a very long time to prepare.

15 But more importantly at this point we do
16 think, and I will reiterate something that Mr.
17 Jones said before, you know, yes, you want to go to
18 the best technology and kind of price that out.
19 But that may not be what's viable for individual
20 water systems. And if that's not what's viable, we
21 do have to factor in how they can bring in lower
22 costs like consolidation, like other water sources,
23 like stannous chloride where it fits.

24 There may not be a panacea out there, but
25 those options are out there. And when you give

1 them shorter shrift in an analysis, you are
2 potentially unintentionally, but you are rigging
3 the system to have a very high number and a very
4 high MCL.

5 I want to just point out one last thing
6 before I end and that is that this is no longer,
7 after all of these decades, about the regulated
8 community, about responsible parties. This is
9 about people who are drinking this stuff. And I
10 find it very interesting that people representing
11 water systems, who struggle with this, you know,
12 community leaders who are struggling with this and
13 it's valid, come up here and say we have to protect
14 ratepayers. But all of us that are drinking hex
15 chrome are asking you to set a lower MCL and
16 protect us.

17 Cancer is expensive. The science is there
18 to demonstrate the impact. And it is because of
19 the people that are drinking this water the Clean
20 Water Action opposes the 10 parts per billion.

21 Thank you for hearing me once again.

22 BOARD CHAIR ESQUIVEL: Thank you, Ms.
23 Ventura. I appreciate patience and engagement on
24 this project, and your voice and advocacy. Thank
25 you.

1 Next, I'd like to call up Michael
2 Claiborne, followed by Bryan Osorio, and then
3 Castulo Estrada. And I have currently our last
4 speaker as Michael Prado, but do know we have -- I
5 know we have a speaker that we'll be getting back
6 to, Ms. Marujo as well.

7 So, Mr. Claiborne.

8 MR. CLAIBORNE: Good afternoon Board
9 members. My name is Michael Claiborne. I'm an
10 attorney with the Leadership Counsel for Justice
11 and Accountability. We work alongside
12 disadvantaged communities in the Central Valley and
13 the East Coachella Valley. Many of the communities
14 we work alongside lack access to safe and
15 affordable drinking water today. Many of those
16 communities are impacted by elevated levels of
17 hexavalent chromium.

18 Today I'm encouraged by several things.
19 I'm happy to be here at long last to discuss a
20 proposed standard or a new proposed standard for
21 hexavalent chromium. And I'd like to thank staff
22 and the Board members for getting us to this point.

23 I'm also proud to live in a state with an
24 agency like OEHHA that has wrestled with the
25 science, developed and established a strong public

1 health goal in response to that science.

2 And I'd urge the Board members to reread
3 OEHHA's technical analysis, if you haven't done so
4 recently. And especially its response to comments
5 in 2011, just really impressive stuff. I did
6 reread that today and I was impressed once again.

7 I'm also thrilled that this Board has
8 demonstrated that with prior MCLs that it can
9 establish drinking water standards through a
10 legally defensible administrative process that
11 withstands challenges to economic feasibility
12 analysis, which I expect you'll see again.

13 That said, I align my comments with
14 Community Water Center, Clean Water Action, and
15 most importantly with residents from the Central
16 Valley and the Central Coast who spoke in favor of
17 the prompt adoption of a strengthened and more
18 health-protective standard for hexavalent chromium.
19 I think we can do better than 10 milligrams per
20 liter and quickly adopt a standard that's closer to
21 OEHHA's public health goal, that better protects
22 all Californians from exposure to this carcinogen.

23 I also want to speak a little bit more to
24 the compliance time schedules and affordability.
25 Regarding the compliance dates listed in table

1 64432-b -- before I get into concerns, I do want to
2 say that one really good aspect of the time
3 schedules is the inclusion of a requirement to
4 submit a compliance plan within 90 days of an
5 exceedance. I think that makes a lot of sense and
6 should help to ensure that water systems are doing
7 the things that they need to, to ensure that they
8 meet the compliance data. I think that was a
9 really good inclusion.

10 I do have three concerns, though. The
11 first is that the compliance time schedules treat
12 small and very small water systems differently in a
13 way that will have an impact of exposing
14 communities that are disproportionately low income,
15 and disproportionately serve communities of color
16 to this dangerous contaminant for a longer period
17 of time without adequate justification.

18 We recognize that compliance will take
19 time and it will take longer for communities that
20 have to apply for grant funding to implement a
21 solution, but it should not take longer for systems
22 with fewer than 1,000 connections to apply for
23 grant funding, than those with between 1,000 and
24 9,999.

25 I will note that we work alongside small

1 water systems, provide technical assistance, and
2 are very familiar with the process for applying for
3 planning and construction grant funding, and
4 implementing those projects. They absolutely take
5 time, but it takes about the same amount of time
6 for very small and small, in my opinion.

7 So, we suggest at a minimum eliminating
8 the four-year compliance period and moving the very
9 small water systems to the three-year compliance
10 category.

11 The second concern I have is similar to
12 the first, setting a compliance date may make
13 sense, but systems should be required to comply in
14 a period that is as fast as possible. The draft
15 regulation should be revised to clarify that the
16 compliance date in 64432-b is the maximum
17 compliance period, not the default, and that
18 systems should be required to comply faster, if
19 that's feasible.

20 My third concern is along the lines of a
21 concern that Board Member Firestone raised earlier
22 today. We'd like to see additional direction in
23 the draft regulation or a staff report regarding
24 the contents of the notice that goes out to
25 residents served by impacted systems. The notice

1 should be clear about health risks associated with
2 hexavalent chromium in drinking water, and they
3 must state the residents shouldn't drink the water
4 in the interim as solutions are being developed.

5 They also need to be translated into
6 languages spoke by those served by the impacted
7 water systems.

8 Then as one final point, and I'm sure I'm
9 over my time, I had only a few points when I
10 started and now it's a novel. As one final point,
11 while we're very much in support of a health-
12 protective standard for hexavalent chromium, we're
13 equally concerned with potential impacts on
14 affordability for low-income households.

15 We urge the Board to ensure through grant
16 funding and direct O&M support to aid systems
17 serving disadvantaged communities and ensure that
18 implementation does not make water more
19 unaffordable. We have funding sources, thankfully,
20 and need to ensure that they're utilized
21 effectively.

22 And I'd also note that we continue to
23 advocate and look for the Board's partnership in
24 advocating for establishing of statewide low-income
25 rate assistance program that would aid the lowest

1 income households throughout the state in affording
2 their water. An ongoing challenge, not necessarily
3 associated with this process, but that is relevant.

4 And then, we appreciate the Board's
5 recognition that treatment isn't always or even
6 usually the best response for small water systems
7 serving disadvantaged communities.

8 Often, the solution for small systems,
9 like Tooleville, which has chrome-6 above the
10 proposed standard and the old standard, for many
11 communities like Tooleville the answer is not
12 treatment, it's consolidation.

13 We're implementing a consolidation project
14 in Tooleville. Tooleville's in support, has been
15 for 20 years, and they're not going to install
16 treatment.

17 And to go to a prior commenter, es todos,
18 thank you.

19 BOARD CHAIR ESQUIVEL: Thank you, Mr.
20 Claiborne, really appreciate the comments.

21 Next, I'd like to call up Bryan Osorio,
22 and then we'll go to Evangelina Marujo.

23 Good to see you.

24 MR. OSORIO: Good to see you, too.

25 Good afternoon Chair and Board. My name's

1 Bryan Osorio and I speak to you as a resident of
2 the City of Delano. It is the most northern city
3 in Kern County and it's one of the handful of
4 cities in Kern County that's surrounded by areas
5 contaminated with chromium-6.

6 I have family members, like my father-in-
7 law, mother-in-law, and friends who live in these
8 contaminated areas. And since they aren't part of
9 a public water system, they have domestic wells,
10 they are even more vulnerable to receiving unsafe
11 drinking water.

12 I speculate that this MCL level will
13 impact them in the way that resources are available
14 to them, interim resources are available to them,
15 because it will impact their eligibility.

16 Consolidation is unlikely. And as we have
17 heard today, there are going to be limited
18 resources to bring systems to compliance.

19 I ask that you protect all Californians
20 with an MCL that protects public health and also
21 partner to help make those infrastructure and
22 treatment upgrades to all impacted systems and
23 domestic wells.

24 To finish here, from today's discussion so
25 far I'm taken aback that those opposed to reduce

1 chrome-6 MCL are arguing that it's not that
2 dangerous, or that the people I know that I know
3 will be impacted will be just fine to simply
4 justify more cost-effective alternatives.

5 As Tutuy expressed it beautifully: Are we
6 saving money or are we saving lives.

7 And it's not too oversimplified the fact
8 that there are going to be significant financial
9 costs. But to ground us in the fact that inaction
10 has already cost people their lives. Safe drinking
11 water should not be contingent on your zip code.

12 Thank you.

13 BOARD CHAIR ESQUIVEL: Thank you, Mr.
14 Osorio, really appreciate those words and the
15 engagement around this, truly. I know, I
16 appreciate today's discussion. I know there's been
17 a lot of back and forth.

18 Next I'd like to call up Evangelina
19 Marujo, who will be followed by Castulo Estrada,
20 and then our last speaker will Michael Prado, Sr.

21 MS. HERNANDEZ: So, Chair, I have
22 Evangelina on the phone. Is that okay?

23 BOARD CHAIR ESQUIVEL: Yes, please.

24 MS. HERNANDEZ: Okay. And then, I'll
25 translate for her.

1 MS. MARUJO: (Through Interpreter) Hello,
2 my name is Evangelina Marujo. And I live in the
3 community of Royal Oaks. She lives in Royal Oaks,
4 in Monterey County.

5 So, I analyzed my private well and it has
6 11.6 or 7 -- did she say 6 or 7 -- 7 parts per
7 billion of chrome-6.

8 I'm concerned for the health of the
9 children, and my family, and my community. Even
10 the plants dry up when I water them, the leaves are
11 dry. I am cautious, I only water the roots so that
12 the leaves won't get dry.

13 I know that it costs a little bit more to
14 have safe drinking water in California. But I
15 prefer for it to be paid with money and not with
16 the health of our children, our family, and our
17 community.

18 I would like for the State Water Board to
19 consider the human right to water when adopting the
20 MCL. And that it protects the health, so at 1 part
21 per billion. And that is all.

22 BOARD CHAIR ESQUIVEL: Gracias Senora
23 Marujo.

24 MS. MARUJO: Mucho.

25 BOARD CHAIR ESQUIVEL: Muchas gracias para

1 tu tiempo. Gracias.

2 And thank you, Ms. Hernandez.

3 MS. HERNANDEZ: Thanks very much.

4 BOARD CHAIR ESQUIVEL: Gracias.

5 Next I'd like to go to our last two
6 commenters, as I understand, although actually
7 there actually might be a couple more.

8 But I'll go to Castulo Estrada and then
9 Michael Prado, Sr.

10 MR. ESTRADA: Good afternoon Mr. Chair and
11 members of the Board. My name is Castulo Estrada
12 and I'm a Board Member of the Coachella Valley
13 Water District, and I also manage the public water
14 system at the City of Coachella.

15 I'd like to primarily echo the comments
16 made by Mr. Tim Worley with CWSA, the comments made
17 by CBWD, and the comments made by Oracio Gonzalez
18 who spoke on behalf of the City of Coachella.

19 I think what we want to emphasize is
20 perhaps two or three things. One is we'd like you
21 to consider the compliance period. I think Mr.
22 Worley correctly pointed out the complexity that we
23 have to go through when we implement these types
24 of projects. The planning, the environmental
25 clearance, the issues with construction and

1 sometimes securing material, those are real issues.

2 And to the comments that were made by Mr.
3 Oracio Gonzalez as it relates to the affordability
4 of the ion exchange systems that we've already kind
5 of explored, we did that back maybe seven years
6 ago. And we here, at the City of Coachella,
7 probably spent about \$800,000 trying to pursue that
8 technology, trying to come up with a design to
9 implement those systems.

10 I know CBWD spent about \$10 million for
11 the design back then. CBWD calculated the capital
12 cost for those systems.

13 At the City of Coachella we have six
14 wells. It's a small system. All of the six wells
15 are over the 10 parts per billion. CBWD has about
16 a hundred wells and about 33 wells at CBWD are over
17 the proposed MCL.

18 And so for us it was, as Oracio mentioned,
19 about \$36 million for capital cost, for CBWD it was
20 above \$200 million.

21 Because those types of costs would require
22 a tremendous amount of rate increases for our
23 customers, we took a close look at other treatment
24 alternatives, in particular stannous chloride.
25 Both agencies, at CBWD and the city, have done a

1 lot of work to try to pursue that technology. I
2 think it's shown a lot of good results. And as
3 you've heard from CBWD, they have already made some
4 progress in working with the Water Board to try to
5 amend their permit.

6 At City of Coachella we aim to do the
7 same. I imagine that even folks at Indio Water
8 Authority are probably going to try to do the same.

9 And so, we'd just like to encourage that
10 the Water Board is open, that the staff is open to
11 working with our agencies so that we can get to a
12 point where we are able to show whatever that data
13 it is that you need to see, so that we can move
14 forward with implementing these other alternatives
15 that seem to be a lot more cost effective.

16 And so with that, I'd just want to thank
17 you for the opportunity and wish you a good day.
18 Thank you.

19 BOARD CHAIR ESQUIVEL: Thank you, Mr.
20 Estrada, appreciate the contributions to this
21 project and I know a lot of work that's ongoing out
22 there. So, thank you.

23 Next I'd like to call up Michael Prado,
24 Sr., who will be followed by Maricela Mares-
25 Alatorre, and then Antonio Juaregui.

1 MR. PRADO: Hello, can you hear me.

2 BOARD CHAIR ESQUIVEL: We can. Good
3 afternoon. Thanks for sticking with us here.

4 MR. PRADO: Good afternoon. It's been a
5 long day, huh.

6 Well, I'm here before you. My name is
7 Michael Prado, Sr. Bear with my speech, I have a
8 health issue, MG, myasthenia gravis.

9 But I'm here today to speak on behalf of
10 AGUA in the Central San Joaquin Valley. I've been
11 a member since it was organized. And also, I'm a
12 Board Member and President speaking on the Sultana
13 Community Services District.

14 I have lost several members to cancer, ten
15 or better, in the Central Valley right here in
16 Dinuba, Cutler, Orosi Sultana area, Reedley. And
17 we need to do a stronger number to do away with the
18 contaminant.

19 We are a real low on the number and we
20 need to do a better job. I know it's a hard job,
21 but all of us together, all of us, it's going to
22 take all of us. Not just myself, not just our
23 Board, but all of us to do something about it. And
24 that is why I'm here today.

25 I could reiterate everything that has been

1 presented before you, but I won't go into that
2 because that will take a while. But I'm sure you
3 know what you were told and that's more in front of
4 you or on the phone today. Please take it into
5 consideration and let's do something better.

6 Lastly, I am a SAFER Advisory Board
7 Member, a working group member. I'm doing my
8 fourth year -- third year, excuse me. I've
9 completed the first two years and I'm on my second
10 term, let's say.

11 The first term I was on there I mentioned
12 to Izel (phonetic) Vasquez, that used to be an
13 employee on the State Water Board. And she is in
14 school now, furthering her education to become an
15 attorney, God willing one of these days.

16 But I ministered and I mentioned to her
17 chromium-6, when are we going to start looking at
18 that a little closer. Us, on the SAFER Advisory
19 Board, we can only advise what needs to be done.
20 We are not there to implement it. Please listen to
21 our advice if and when it is brought before you.

22 Thank you very much for your time, Board,
23 president and counsel. God bless you all. And
24 let's do it. Thank you.

25 BOARD CHAIR ESQUIVEL: Thank you so much

1 Mr. Prado, really appreciate your contributions to
2 this, the SAFER Advisory Committee, all the good
3 work that's going on there. So, thank you.

4 Next I'd like to call up Maricela Mares-
5 Alatorre, who will be followed by Antonio --

6 MS. MARES-ALATORRE: Juaregui.

7 BOARD CHAIR ESQUIVEL: -- Juaregui.

8 Gracias, gracias.

9 MS. MARES-ALATORRE: Buenos tardes all,
10 Maricela Mares-Alatorre. I'm also with Community
11 Water Center.

12 But today I'm going to talk to you as a
13 person that lived in Kettleman City for 45 years.
14 So, as you know, even if you haven't watched Erin
15 Brockovich, Kettleman City is a community that has
16 suffered from environmental injustices for many
17 years and from many different sources.

18 So, I'm also speaking to you as a person,
19 you know, generally from California and the Central
20 Valley. Our communities deserve clean and
21 affordable drinking water. And that's in your
22 power to do that by ensuring that the MCL protects
23 water. And not only, you know, is it in your
24 power, it's your duty to provide resources for
25 water systems that are reluctant to do this, so

1 that they can treat water, and that people can have
2 -- don't have to drink contaminated water.

3 Don't give in to the industry that's only
4 interested in profits and not people. Even with
5 the proposed MCL, you're still acknowledging that
6 one in 2,000 people will get cancer.

7 Kettleman City only has 1,500 residents
8 and I've seen whole families decimated by cancer,
9 whole families. People that got settlements from
10 that fabled Erin Brockovich, and all it served them
11 for was to bury bodies. And that's only one in a
12 -- you're saying one in 2,000. I'm talking about
13 1,500 people.

14 So, that's why it's so important that you
15 use the MCL to protect lives. That's in your power
16 to do.

17 And I thank you, I know it's been a long
18 day.

19 BOARD CHAIR ESQUIVEL: Thank you. It has,
20 but thank you for sticking with it and,
21 importantly, providing your voice amongst it, also.
22 Thank you, Ms. Mares-Alatorre, thank you.

23 Next I'd like to call up Antonio Juaregui.

24 MR. JUAREGUI: Good afternoon. My name is
25 Antonio Juaregui. I'm the Political Power Building

1 Advocate here with Community Water Center, and I'm
2 the what stands between, you know, the end of the
3 meeting or just this item, right. So, I'm going to
4 keep it long.

5 (Laughter)

6 MR. JUAREGUI: So, you know, one of the
7 things that stood out to me as well, is when we
8 were discussing the MCLs and the chrome-6 is just
9 how, you know, it happens naturally, it's in the
10 environment. It is what it is.

11 But that response of just, hey, don't
12 panic, it's organic, it is killing people, it just
13 doesn't fly anymore. And it's not going to bring
14 the solutions that the community that has been
15 asking, asking of this Board, asking of the
16 leadership, asking to take action.

17 And so, Board, today you heard many
18 powerful testimonies from folks who traveled all
19 over the state to just give you a small glimpse
20 into the everyday issues and challenges that they
21 face in their life. Right. To tell you what
22 happens in their community, what happens in their
23 home, and most importantly what happens in their
24 tap water and how that affects their bodies, and
25 their children, and their grandchildren.

1 And so, this is an opportunity to take the
2 things and the stories that the community members
3 have brought on and mentioned, and use that as a
4 way to change the course of their communities and
5 to really invest in them. Because they're asking
6 for that investment. They've seen the damages that
7 neglect and that lack of action has caused.

8 And so, look into the future, listen to
9 what the community's asking, and take those bold
10 decisions for the solutions that we need so that we
11 can all be healthy, and live a more dignified life.
12 Thank you.

13 BOARD CHAIR ESQUIVEL: Thank you, Mr.
14 Juaregui. Way to finish strong. And know, and as
15 everyone knows it's been a long afternoon. And
16 really appreciate everyone's contributions to what
17 is always a balancing act for this Board as we do
18 our best to remain protective of public health, but
19 also do, I know the balancing that's all amongst
20 it. So, just thank you for everyone's voice.

21 Here, and what I'll note is obviously we
22 -- the fundamental tensions seem to be around cost,
23 the impacts upon affordability, but then also
24 needing to ensure we're being protective of public
25 health.

1 And I know it's basic amongst it, but what
2 I feel and I, you know, here still listening, and I
3 appreciate that OEHHA at this point is looking at
4 additional information of the public health goal.
5 What I know of the science as it is, and where I'm
6 comfortable still yet is with remaining at 10.

7 But at the same time I know that there
8 were some changes. I hear that there's -- you
9 know, I hear the call for additional time. I'd be
10 open and would want to hear from Dr. Robinson, and
11 Ms. Niemeyer, and others if, you know, extending an
12 additional week has a huge impact. If not, I want
13 to ensure to afford that space for folks.

14 But, you know, I am concerned around
15 delay, further delay on the timeline and getting to
16 a decision before this Board. Because, you know,
17 obviously this is just a workshop, the Board isn't
18 making a determination today. We're very much in
19 listening mode.

20 But, you know, I guess the question is
21 does the addition of additional week on the public
22 comment period for this disrupt our, you know, sort
23 of plan? Knowing that we have a year, you know,
24 that the clock starts ticking when it comes to, you
25 know, our work with the Office of Administrative

1 Law.

2 MR. POLHEMUS: Yeah, so, you know, as Dr.
3 Robinson mentioned, the errata sheet really adjusts
4 some language. It didn't change the tables, it
5 didn't change fundamentally most of the data we
6 reported.

7 It also was not parts that we relied on
8 for determining economic feasibility.

9 So, in my opinion the week is adequate to
10 give people time to kind of figure that out on
11 their own and validate that. It shouldn't really
12 change their comment structure, in my assessment,
13 much.

14 We would like to get started on the
15 comments that come in. We have a lot of comments
16 today. We have a lot of comments that will
17 certainly be given to us by written comments. And
18 so, certainly my preference is we did the week,
19 understanding that it would have been way to short
20 to say you were due Friday, after issuing the
21 errata. But that the week we believe is adequate
22 for the small magnitude of the errors that were
23 presented. Certainly, it's the Board's discretion
24 if you want to go longer. You know, another week
25 after that isn't dramatic, but it does start -- it

1 does delay the time by which we can begin
2 addressing comments, which we have to go through.

3 And that will be our longest workload next
4 is to go through every single comment, give them
5 due process, understand them, and make sure that we
6 address them appropriately.

7 BOARD CHAIR ESQUIVEL: Okay. I'd be
8 interested to hear from fellow Board colleagues,
9 but be open to giving additional week, even very
10 much understanding that, you know, the error that
11 was correct in the errata sheet is not one that was
12 of, you know, fundamental significance to our
13 economic feasibility. It was in how we summarized
14 it and swapped out monthly for annual.

15 So, but nonetheless, you know, upon
16 hearing, you know, the various feedback from folks,
17 I'm more apt to go ahead and give an additional
18 week, than not, so as just to provide that good
19 basis for the continued discussion before the Board
20 on this. But again, I appreciate everyone's
21 contributions today.

22 Board Member Maguire.

23 BOARD MEMBER MAGUIRE: Just Chair
24 Esquivel, I'd just like to agree with you there. I
25 think one more week is not -- in the big scheme of

1 things I think we -- you talked about, Dr.
2 Robinson, a range of potential adoption dates, and
3 I think that was a six-month range. So, in my mind
4 on issues as significant as this, and as complex as
5 this, and a lot of the feedback we've heard today I
6 actually would appreciate having folks take that
7 additional week to think about these issues. And,
8 you know, if that's what it takes then, you know, I
9 think it's well worth the time, in my opinion.

10 BOARD CHAIR ESQUIVEL: Appreciate that,
11 Board member.

12 I don't have anything else to add at this
13 moment, other than I wanted to voice, you know, the
14 support of extending for an additional week.

15 I've appreciated everything we've heard
16 from, again, both community members, system
17 managers, systems that will be impacted. I want to
18 make sure -- and we hear this, not just on this
19 maximum contaminant limit setting, but any of the
20 regulations that really come before this Board that
21 we're not getting it right on understanding the
22 costs and the impacts. And I think that it is here
23 always our desire to do better at creating that
24 more perfect representation of what's going to
25 happen. But I think, you know, we could spend a

1 lot of time on that and lose sight of what is
2 actually what we're trying to do here, which is be
3 protective of public health and advance this.

4 So, I know there was a comment made, well,
5 why isn't the federal government pursuing this if
6 it's such an important MCL or public health issue.
7 Unfortunately, I don't think the federal government
8 has set any maximum contaminant limits for like 30
9 years at this point. So, you know, I've forgot how
10 long it's been since they really have driven one.
11 I think the MCL on PFAS will be the first here in a
12 long while. So, we're fortunate to be able to
13 pursue things that are impacting public health that
14 maybe is not nationally able to be driven.

15 MR. POLHEMUS: And I can add to that,
16 Chair Esquivel, as well. When the USEPA looks at
17 setting an MCL, they look nationwide. And chrome-6
18 is -- while it is in other parts of the nation, it
19 is certainly more concentrated in the southwest of
20 the United States, and in some parts of the, I
21 think the Appalachia area.

22 BOARD VICE CHAIR D'ADAMO: Can I interrupt
23 you? I'm sorry. I just -- I just wanted -- it
24 looks like vans are leaving. But I just wanted to
25 really thank you all for being with us all

1 afternoon. I know it's a long drive home. And
2 just really appreciate all of your involvement and
3 thank you for sticking with us, and thank you for
4 your leadership, it really means a lot.

5 BOARD CHAIR ESQUIVEL: Thank you. Thank
6 you, Vice Chair.

7 BOARD VICE CHAIR D'ADAMO: Sorry.

8 MR. POLHEMUS: Oh, no problem at all. And
9 so, I was just pointing out that the difference
10 between, you know, we look at California and the
11 population of California. They are much more
12 broadly impacted with chrome-6 than the national
13 population as a whole, so that does need to be
14 factored in when you're trying to weigh what USEPA
15 may consider versus what they would do in just
16 California. So, it is a little bit different of an
17 analysis on their part.

18 BOARD CHAIR ESQUIVEL: I really appreciate
19 that, thank you.

20 Looking to fellow Board colleagues. And
21 I'll note that Board Member Morgan, I know at 3:30
22 had to slip out and for her family there. So, we
23 don't have the benefit of any of her comments here,
24 before us.

25 But any Board members, other Board

1 members, please comments, questions at this point?

2 BOARD MEMBER MAGUIRE: Yeah, well, I, too
3 have been in listening mode today, so that was a
4 lot to take in and a wide range of perspectives on
5 this issue. Which, you know, I was just reflecting
6 on the fact that it's been all the entire time that
7 I've been on the Board the number one priority from
8 a drinking water perspective, which is going on
9 five years, but right, by the way, for us to have
10 this MCL completed. And we're still a ways away
11 from that.

12 And so, I do feel that sense of urgency in
13 moving forward. I'm glad we're here today. I'm
14 glad we're in this position to be taking the next
15 step. And I certainly appreciate the concerns that
16 we haven't gotten it right, that 10 is not the
17 right number, that perhaps it should be another
18 number that's lower.

19 And also, the concerns about the economic
20 feasibility and the costs, and the drivers on
21 affordability, and all those pressures.

22 And we are trying to find that right --
23 well, I certainly am trying to find that right spot
24 in balancing all of the different competing issues
25 on drinking water that we're facing with PFAS, with

1 all the contaminants that are out there. With
2 water supply reliability concerns, just coming out
3 of the drought recently, and understanding those
4 pressures, and looking at SGMA, and those
5 challenges. And those are all generalities and
6 don't put a dollar number to what we're deciding on
7 today.

8 And ultimately, this is a -- it's a human
9 health risk management decision.

10 So, you know, one comment that came up,
11 that was raised a few times was about the Public
12 Health Goal. And a lot of this, as the Health and
13 Safety Code requires, it's a test for, you know,
14 how close can we technically, technologically and
15 economically get to the Public Health Goal?

16 Well, what I've heard is that the Public
17 Health Goal is under review.

18 So, I do want to say that for me,
19 personally, it's going to be important to have some
20 clarity on and answers to that question. If
21 OEHHA's in the process of reviewing the Public
22 Health Goal based on new literature, whatever the
23 case may be whether it's lower, or higher or stays
24 the same, I feel quite compelled to understand what
25 the outcome of that process is before we draw any

1 final conclusions here.

2 So, I'm hopeful, I don't know what OEHHA's
3 timeline is on the Public Health Goal review, but
4 it would be nice if we could find out from them in
5 the near future or if, Mr. Polhemus, if you happen
6 to know. But if we don't, if we can find out
7 generally what their timeline is, so we can see how
8 that lines up with the rulemaking process here, I
9 think it would be helpful. At least speaking on my
10 own, you know, from one Board member's perspective
11 to just understand where we're at on that.

12 Because it drives so much of what we're
13 talking about here in terms of human health
14 protection.

15 MR. POLHEMUS: Yeah, from the beginning
16 we've been in really close communication with the
17 scientists at OEHHA and, you know, know exactly
18 where they're at in their process.

19 They have a process they need to follow as
20 well, you know, and I don't really want to
21 interfere with that. But we will know information
22 soon from them, before we adopt our MCL. We've
23 been working in parallel. We did not want to wait
24 on our process to start it and then extend this
25 even longer. As many commenters said, this has

1 been a long time in coming.

2 So, we're trying to be really efficient
3 and overlap with them, but we will, I believe, have
4 information from them soon. They have shifted a
5 lot of their priorities, just as we shifted ours to
6 make chrome-6 happen for us, they are doing the
7 same in-house to deliver us some answers.

8 And it's not just a fresh start, right.
9 They've been following it since 2011. A lot of
10 people think that their data call in, you know,
11 they've been monitoring the public research data
12 all along, in my conversations with them. And so,
13 they're doing their normal process to make sure
14 they do it by the rules they have to follow, to
15 make sure everything's done. But I'm confident
16 that we'll be able to have some information from
17 them before we proceed to bring you something to
18 adopt.

19 BOARD MEMBER MAGUIRE: That will be very
20 helpful, thank you.

21 Just a couple other comments, if I could.
22 So, I'm a civil engineer and a lot of my experience
23 is actually working in the consulting side with
24 water systems. And in particular, it was right
25 around the time of the adoption of the arsenic

1 rule.

2 So, I worked with a number of water
3 systems in looking at alternatives. Right, because
4 of course, just like the conversation we're having
5 today every single one of those systems did not
6 want to install treatment, if they could possibly
7 avoid it.

8 So, they looked at every other option.
9 And blending was almost always the go to. And a
10 lot of the agencies I was working with were a bit
11 larger, so consolidation wasn't really one of the
12 leading alternatives, frankly.

13 But, you know, these groundwater-dependent
14 systems just don't have a whole lot of other places
15 to turn. Tried looking at drilling new wells, or
16 screening off sections, wedging off sections of
17 existing wells, and all these different things.
18 And sometimes it panned out and sometimes it
19 didn't.

20 But invariably, there's going to be many
21 systems that will have to treat here. There will
22 be others that find more cost-effective means of
23 complying and I think that's fantastic. And I'm
24 encouraged by the review -- the emerging treatment
25 approaches, if they pan out. Like with the

1 stannous chloride, I think that's exciting.

2 And in fact, you know, I'm actually
3 interested in better understanding the range of
4 costs. Because I think some systems will still go
5 with ion exchange. We heard, you know, some costs
6 there. Some will go with the reduction coagulation
7 filtration. Some maybe, if DDW is comfortable,
8 perhaps could go with stannous chloride or other
9 approaches.

10 So, for me it's not a, you know, one
11 dollar number. I mean maybe that's what we need to
12 do here for this analysis. But understanding what
13 that curve looks like in terms of the range of
14 possible outcomes we may have, reflecting that,
15 yes, I think it's understandable that the cost
16 assessment that was done so far is conservative.
17 But it may not be unrealistic at the end of the
18 day, when we think about all these different
19 nuances.

20 I know, you know, lots of wells are on
21 tiny, little postage stamp sites and, you know, you
22 can only make so many -- you can't really install
23 treatment there, so then you're looking at other
24 locations, and then you have to build a pipeline,
25 and all these pieces. Projects end up costing,

1 many times, more than what you might assume as a
2 default project cost.

3 So, for me it's on balance. You know, are
4 we in the right ballpark? Does this give us a
5 right frame of reference for making this sort of
6 weighing that we have to do that's very difficult
7 and, you know, not something I relish but something
8 that's our responsibility at the Board to make
9 these sorts of decisions about protective drinking
10 water standards.

11 So, I just wanted to share that. As we go
12 forward here, I'm looking forward to the comments
13 and the input that we get from water systems, from
14 the nongovernmental organizations about their
15 experiences. Technical assistance providers, you
16 know, what are you seeing boots-on-the-ground, you
17 know, are our costs in line with what you've been
18 experiencing in your help with water systems
19 addressing a whole range of contaminants.

20 And just knowing that a lot of the systems
21 that we're talking about today are dealing with not
22 just hexavalent chromium, but other, you know,
23 nitrates, 1,2,3-TCP, arsenic. You know, a lot of
24 these constituents are co-occurring. And so, the
25 reality is we may be talking about treatment for

1 one constituent today, but next year it may be
2 another one, or three or four others. And they may
3 already be behind the curve on catching up with
4 many that are already on the table.

5 So, in my mind, you know, the cumulative
6 costs, all of these things have a bottom line
7 impact on water affordability. And you speak to --
8 you know, we speak to that, we try to again address
9 that from the perspective of hexavalent chromium,
10 but it's a tough question to answer.

11 And I'd like to think that we have an
12 abundance of dollars available for grants to help
13 every community that will need it, but I think
14 there's no assurance of that where we sit here
15 today.

16 And, you know, even in the analysis it
17 opined about \$700 or \$800 million being available.
18 You know, I think, and someone else had commented
19 that much of that funding is committed. And I
20 would say it's probably committed several times
21 over already, not considering hexavalent chromium.

22 And so, I think we have a lot of questions
23 to answer about where that assistance, where those
24 dollars will come from. Not to say that we
25 shouldn't take a step forward here, but there are

1 questions that we really need to wrestle with and
2 understand a little bit better as we work through
3 the rulemaking here over the next year.

4 I think I'll leave my comments at that.
5 Thank you.

6 BOARD CHAIR ESQUIVEL: Thank you, Board
7 Member.

8 BOARD MEMBER MAGUIRE: For sure.

9 BOARD VICE CHAIR D'ADAMO: Well, just in
10 the interest of time I'll say that I concur with
11 Board Member Maguire. I'm mostly concerned about
12 affordability and just looking for a better, a
13 better way to determine what's likely to occur.

14 Of course, if I were representing a public
15 water agency I'd come in here and assume the worst.
16 You pretty much have to. But, you know, any way to
17 make it a little more realistic for us.

18 I know that we can't count on stannous
19 chloride but, you know, and I guess I'll put that
20 back to you all, and to the commenters, you know,
21 on some way to make it a little more real.

22 Because I'm concerned about, number one is
23 public health, but a close second is affordability,
24 and just concerned about the multiple contaminants
25 and all the issues that Board Member Maguire

1 raised.

2 So, look forward to ongoing briefings and
3 reading the comments.

4 BOARD CHAIR ESQUIVEL: Thank you, Vice
5 Chair.

6 Board Member Firestone.

7 BOARD MEMBER FIRESTONE: Thanks. Yeah, so
8 many comments and issues, and this is a long time
9 coming. Thanks for all the work.

10 And I agree that it would -- I would say
11 in terms of what staff have done in the economic
12 analysis, and the EIR, and statement of reasons,
13 like I think we've done a huge amount to meet the
14 legal requirements.

15 I think for us, then as policymakers, as
16 we're trying to balance it's nice to know things
17 like how do our -- so, this is not something that
18 we need to be or maybe should be required to be
19 part of the economic analysis, but I would like to
20 know what our estimates are for being able to
21 support small, disadvantaged communities that we're
22 estimating to be having to adjust or, you know, do
23 something because of this regulation. And sort of,
24 I would say looking at also CalEnviroScreen 90
25 percent.

1 I think one of the things that we heard
2 from community members is that, you know, there's
3 really disproportionate health burdens and they're
4 hit on so many levels with contaminants.

5 And, you know, certainly also those same
6 communities are struggling with affordability on so
7 many things in life. And so, I think if we can --
8 if we're looking at how our state resources should
9 be invested, we're focused within SAFER. And if we
10 can look at what that would mean in terms of those
11 communities getting solutions through the funding
12 that we have, I would really like to know what that
13 looks like.

14 And to Board Member Maguire's point,
15 honestly with all these different rollbacks, and
16 changes, and earmarks and things that are going on,
17 I don't -- I've kind of lost track of where we are.

18 And so, I know that's not DDW, that's DFA.
19 But if we can -- if you can help get that, you
20 know, to help inform the Board balancing, not the
21 legal requirements, I would really appreciate that.

22 And also, I think within that, you know,
23 one of the things that I think is clear in all of
24 this analysis is there's capital. But if you're
25 doing treatment, it's really the O&M, right, that

1 really adds up over time. And we are looking at --
2 we're -- we haven't adopted the Fund Expenditure
3 Plan yet, but we're looking at and planning on
4 doing a O&M affordability program. And so, it
5 would be helpful to understand maybe what that
6 means for a affordability program needs and
7 demands, and what's available for capital. Because
8 there's obviously very different funding sources
9 available.

10 So, just look to staff on what's doable on
11 that. But it seems like we have a lot in our needs
12 assessment that could be helpful.

13 We already do this, I think, but if we
14 don't I would just also want to make sure that as
15 we're talking about a compliance period, if there
16 are systems that are not -- that are below the MCL,
17 but it's maybe the first year or second year, and
18 so they're still in their compliance period, that
19 they'd still be just as prioritized for funding as
20 somebody that doesn't have a compliance period. I
21 think that is something that we would do anyway,
22 but I just wanted to make that clear on the record.

23 I am concerned about making -- looking at
24 what our capacity is going to be too fast, very
25 quickly approve and process pilots and plans.

1 Because I think what we're wanting to do is get
2 people to -- and I think we should be more
3 explicit, this was brought up by Michael Claiborne,
4 about trying to make sure that compliance or that
5 -- they're not called compliance plans. I forget
6 what they're called. But the plans for how they're
7 going to come into compliance are going to be the
8 earliest feasible.

9 So, not just saying the default is you
10 have four years, but it's that it's the earliest
11 feasible. There may be some very small systems
12 that can do that in one year, we don't know.
13 Everything is site specific.

14 And so, I do think that we should be
15 saying it should be the earliest feasible, even
16 with building in a compliance period, that that's
17 -- but that to support all of those compliance plan
18 approaches that we're making sure we really have
19 the capacity and are able to fast track, move
20 quickly on approvals and reviews of pilots and
21 plans.

22 You know, I really sympathize with and,
23 you know, many of the water systems and cities that
24 want to make sure their systems have safe drinking
25 -- or their consumers have safe drinking water, but

1 it's a huge difference in cost and an entirely
2 different project than if you're doing stannous
3 chloride, than if you're doing ion exchange, or
4 something else.

5 And so, we need to be able to have the
6 capacity to do that with the systems. So, it would
7 be great to hear back, you know, again just
8 understanding how we feel like we're going to be
9 able to do that piece in a timely manner.

10 I think one of -- one of just sort of
11 bigger picture here, one of the real balancing or
12 perspectives I think for me is that there's a lot
13 of unknowns on cost. Every -- you know, some --
14 we're making these general estimates and there's a
15 real question on whether you can do -- whether
16 blending's an option. Whether, you know, there's
17 these lower cost treatments. Whether it's going to
18 be way more than what we're estimating. So,
19 there's not clarity on that. Everything's going to
20 be site specific.

21 But what we are setting here is how many
22 people are going to be exposed to chrome-6 at a
23 high level, or at different levels. And that's
24 really what is clear. I think we're identifying --
25 or by setting this we're dictating who continues to

1 be exposed and who's not, and at how much.

2 And I actually -- Andrea, I know, just had
3 to leave. But I think her point on every, any MCL
4 we set there's going to be people that are --
5 people are going to be exposed over the Public
6 Health Goal, and that's true with a couple, a
7 handful of other MCLs like arsenic, and there's a
8 couple other ones that are similar in scale.

9 So, if we can -- but the level that we set
10 it at means that there's treatment in -- there's
11 treatment in some communities and not others. So,
12 if we're setting it at 10 and a system has it at 9,
13 the people who's in 9 continue to be exposed to
14 chrome-6, whereas the people that are -- that have
15 it at 10 are going to be much lower -- have much
16 lower exposure.

17 So, I do think the exposure, how many
18 people are exposed is what we're -- is one of the
19 more -- the things that we have more certainty
20 around in terms of as compared to the cost.

21 So, I just want to -- I guess I just
22 wanted to say I'd really like to hear from folks on
23 that, understand the difference and order of
24 magnitude there on exposure. And I know that's in
25 the -- one of these two acronym documents.

1 To just -- but I think as we are -- as I'm
2 trying to weigh this affordability and assistance
3 piece, I also, I think, am trying to weight the,
4 you know, level of exposure and the number of
5 people that we're protecting from exposure.

6 And I think those were the main -- I think
7 those were my main comments. There's so much that
8 folks brought up and I'm really looking forward to
9 hearing comments. And I really appreciate the
10 questions or the participation. And it's been a
11 long day and now my head's a little fuzzy, too.

12 MS. NIEMEYER: So, some of the tables have
13 that information. Like I was looking at the number
14 of sources affected. So, you can see at the
15 different numbers. And I think we also have it --
16 so, Table 24 has like the total population.

17 So, some of those numbers that will kind
18 of help you to see what the different effects are.

19 BOARD MEMBER FIRESTONE: Yeah. No, I
20 understand that. I think I was saying that -- I
21 was recognizing that that is in the table, and just
22 trying to recognize that for me, as I'm processing
23 all the information that is, you know, kind of
24 overwhelming, that it's not just -- well, the costs
25 I find hard to wrap my head around because there's

1 so many uncertainties, and site specific. And I
2 feel like the exposure is a little more clear and
3 straight forward.

4 And so, I think that was more of a policy
5 balancing point than a question. Thanks.

6 BOARD CHAIR ESQUIVEL: Thank you, Board
7 Member.

8 Again, just incredible. Thanks to
9 everyone. It has been a long afternoon, but a
10 really good discussion, a good back and forth, and
11 here a lot further to unpack a bit.

12 Just reaffirm it would be good to go ahead
13 and just give folks another week. This is an
14 important MCL and would be supportive. So.

15 MR. POLHEMUS: Okay. We will notice here
16 in the next day or two that it's extended to the
17 18th, August 18th, Friday, noon.

18 BOARD CHAIR ESQUIVEL: Okay. Thank you.
19 It is much appreciated on that front.

20 MS. NIEMEYER: And just to clarify, that
21 will be on everything. So, that's on the
22 environmental document and the regulation
23 documents.

24 BOARD CHAIR ESQUIVEL: That's helpful.

25 Thank you all. That concludes this

1 hearing then, and Item Number 5. And again, really
2 appreciate everyone's good contributions and
3 discussion. Looking forward to further moving this
4 along the process.


5 (Adjourned at 5:34 p.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of August, 2023.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of November, 2023.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520